

1 FEDERAL ENERGY REGULATORY COMMISSION

2

3 TECHNICAL CONFERENCE

4

5 DISTRIBUTED ENERGY RESOURCES

6

7 FEDERAL ENERGY REGULATORY COMMISSION

8 888 FRIST STREET, NE

9 WASHINGTON, DC 20426

10

11 *Tuesday, April 10, 2018*

12 10:15 a.m.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 Speaker List  
2 --Panel 1--  
3 OEPI-David Kathan (Moderator), Michael Herbert, Kaitlin  
4 Johnson  
5 OER-Kent Davis, Lodie White, Joe Baumann  
6 OEMR-Laura Switzer  
7 OGC-Karin Herzfeld, Heidi Nielsen  
8 John Goodlin-Manager, Infrastructure and Regulatory Policy,  
9 California Independent System Operator, Inc.  
10 Jeff Bladen-Executive Director, Market Services,  
11 Midcontinent, Independent System Operator, Inc.  
12 Joeseph Bowring-President, Monitoring Analytics, Independent  
13 Market Monitor for PJM Interconnection, L.L.C.  
14 Michael DeSocio-Sr. Manager, Market Design, New York  
15 Independent System Operator Inc.  
16 Andrew Levitt-Senior Market Strategist, PJM Interconnection,  
17 L.L.C.  
18 Henry Yoshimura-Director, Demand Resource Strategy, ISO New  
19 England, Inc.  
20 Commissioner Cheryl LeFleur  
21 Commissioner Richard Glick  
22 ---Panel 2, afternoon session  
23 Chairman Kevin McIntyre-Chair  
24 Commissioner Cheryl LeFleur  
25 Commissioner Neil Chatterjee

1      Commissioner Robert Powelson  
2      Commissioner Richard Glick  
3      OEPI-Jignasa Gadani, David Kathan  
4      OER-David Ortiz, Kent Davis  
5      OEMR-Jette Gebhart, Franklin Jackson  
6      OGC-Karin Herzfeld, Heidi Nielsen  
7      Christopher Norton-Director of Market Regulatory Affairs,  
8      American Municipal Power  
9      Willie Phillips-Commissioner, DC Public Service Commission  
10     Michael Picker-President, California Public Utilities  
11     Commission  
12     Ted Thomas-Chairman, Arkansas Public Service Commission;  
13     President, Organization of MISO States  
14     Tammy Mitchell-Deputy Director, Electricity, New York, State  
15     Department of Public Service  
16     Asim Haque-Chairman, Public Utilities Commission of Ohio  
17     Andrew Place-Vice Chairman, Pennsylvania Public Utility  
18     Commission  
19     Ben D'Antonio-Counsel & Analyst, New England States  
20     Committee on Electricity  
21     --Panel 3, 2nd Afternoon Session  
22     OEPI-David Kathan (Moderator), Michael Herbert, Kaitlin  
23     Johnson  
24     OER-Jessica Bian, Stephanie Schmidt, Anuj Kapadia  
25     OEMR-Lynn Massengill

1 OGC-Karin Herzfeld, Heidi Nielsen  
2 Katie Guerry-Vice President, Regulatory Affairs, EnerNOC,  
3 and Enel X Group Complany  
4 Ted Ko-Director of Policy, Stem  
5 Paul Zummo-Director, Policy Research and Analysis, American  
6 Public Power Association  
7 Simon Baker-Deputy Director, Energy Division, California  
8 Public Utility Commission  
9 Michael DeSocio-Sr. Manager, Market Design, New York  
10 Independent System Operator, Inc.  
11 Mihir Desu-Manager, Strategen (on behalf of New Hampshire  
12 Office of the Consumer Advocate)  
13 Roy Kuga-Vice President, Grid Integration and Innovation,  
14 Pacific Gas and Electric Company  
15 Marco Padula-Deputy Director, Market Structure, New York  
16 State Department of Public Service  
17  
18  
19  
20  
21  
22  
23  
24  
25

## 1 P R O C E E D I N G S

2 MR. KATHAN: Good morning. I'd say we have a  
3 pretty full room here. There -- if you can't find a seat in  
4 this room, we have set up Hearing Room 1 which is right to  
5 the right of this room. If you cannot find a seat here  
6 there's seats over there in the other room in Hearing Room  
7 1.

8 So with that once we -- a little bit of clearing  
9 in the room, let's get started. Alright, good morning, my  
10 name is David Kathan and I'm with the Office of the Energy  
11 Policy and Innovation here at FERC.

12 And I would like to welcome everyone to this two  
13 day Technical Conference on Distributed Energy Resources  
14 associated with Docket Numbers RM18-9 and AD18-10. We are  
15 gratified by the level of interest that all of you have  
16 shown.

17 Today is an opportunity for us to hear from the  
18 panelists that have been pre-selected. To start off, I'd go  
19 through a few logistical and housekeeping items. Please, no  
20 food or drinks other than bottled waters in the Commission  
21 meeting room. There are bathrooms and water fountains  
22 behind the elevator banks on each end of the building.

23 Please turn off your mobile devices or put them  
24 in airplane mode while we're in the Commission Meeting Room  
25 to avoid interference with the audio/visual and the sound

1 equipment. If needed, as I indicated earlier, we arranged  
2 for a spill-over space in Hearing Room 1.

3 Hearing Room 1 is on the right as you exit this  
4 room. Bags will also need to be put in Hearing Room 1. We  
5 will break today for lunch at approximately 12 p.m. until  
6 about 1:30 p.m. -- on the second day, approximately 12:10  
7 p.m. until 1:30 p.m.

8 For panelists -- if you would like to be  
9 recognized to speak please put up your name card. Be sure  
10 to turn on your microphone and speak directly into it so  
11 that the audience and those listening on the webcast can  
12 hear you.

13 This Technical Conference is being transcribed,  
14 so please say your name as you start to speak. When you're  
15 not speaking, please turn off your microphone to minimize  
16 background noise. Panel discussions will not include  
17 opening remarks, but will consist of discussions based on  
18 the questions posed by Commission staff in the notice.

19 And finally, depending on which direction the  
20 conversation progresses, we will not necessarily cover every  
21 single question in the notice. We have members of the staff  
22 who will help us monitor the time so make sure that we can  
23 cover as much as possible in each of the panel sessions.

24 7 panels will be conducted during this Technical  
25 Conference to assist the Commission to gather additional

1 information to help the Commission determine what action to  
2 take on the DER aggregation reforms proposed in the electric  
3 storage participation of markets operated by the regional  
4 transmission organization and independent system operators  
5 NOPR, and to explore issues related to the potential effects  
6 of DER's on the bulk power system.

7                   Panels 1, 3, 4, 5, 6, and 7 will be staff led and  
8 panel 2 will be led by the Commissioners. We'd like to  
9 remind everyone that we intend to focus this Conference on  
10 technical and operational issues described in the notice.

11                  We will not discuss other related matters  
12 including those at issue in any pending proceedings. So,  
13 I'd like to start off and say that today we will be doing  
14 three sessions. The first panel will examine the location  
15 requirements proposal included in the storage NOPR.

16                  The second panel will consist of a dialogue with  
17 states and local regulators on DER aggregation. The third  
18 and final panel for today will focus on proposals to address  
19 potential double conversation associated with DER  
20 aggregation.

21                  So to start with our first panel I would like to  
22 welcome our panelists and thank them for their time. We  
23 have Henry Yoshimura from ISO New England, Andrew Levitt  
24 from PJM, John Goodin from the California ISO, Mike DeSocio  
25 from New York ISO, Joseph Bowring, the Market Monitor for

1 PJM and Jeff Bladen from the MISO.

2                   And before we begin please note we have a number  
3                   of questions and sub-questions to discuss with this panel so  
4                   we'd like the panelists to keep their remarks brief. I will  
5                   now turn to Michael Herbert, also at the Office of Energy  
6                   Policy and Innovation who will lead the discussion for this  
7                   panel, Michael?

8                   MR. HERBERT: Alright, thanks Dave. So we've got  
9                   a number of questions to get through here, so as Dave asks,  
10                  please keep your remarks relatively brief in hopes to kind  
11                  of cover as much but we may sort of dig down into some of  
12                  the individual issues as we go.

13                  So we're just going to go ahead and start from  
14                  the top, the questions that were in the notice -- talking  
15                  about the locational requirements for distributed energy  
16                  resource aggregation. So, acknowledging that some RTOs and  
17                  ISOs already have or already allow aggregations of DER's and  
18                  demand response resources across multiple pricing nodes,  
19                  some of them are considering allowing it across multiple  
20                  pricing nodes.

21                  What approaches are available to ensure that the  
22                  dispatch of multi-node DER aggregations do not exacerbate  
23                  transmission constraints? And I think knowing that CAISO  
24                  already allows DER aggregations across multiple pricing  
25                  nodes in some of the other RTOs do as well, maybe we can

1 start with you and then allow some of the other ISOs to  
2 react to those comments.

3 MR. GOODIN: Very good, can you hear me okay.

4 Yeah, good -- well good morning, my name is John Goodin and  
5 I thank you for having ISO present today. On this  
6 particular issue I think that it's important that if you're  
7 going to establish DER aggregations that you impose both  
8 size and boundary constraints -- that's something that the  
9 ISO has done.

10 We've borrowed a lot of our distributed energy  
11 resource aggregation model from functionality that we  
12 established previously for demand resources. And  
13 importantly, what we've done with the DER aggregations is  
14 what we call the sub-lap constraint if you will. And what  
15 the sub-lap is it's a sub-load aggregation point.

16 It's essentially a zone if you will, an area  
17 electrically defined that allows for aggregations within  
18 that zone, not without that zone. In other words, you can  
19 establish DER aggregations in the specific area and those  
20 zones are established by looking at historic congestion and  
21 pricing differences between nodes.

22 And that sub-lap what we have found is that  
23 sub-laps are defined by that there is little price  
24 differentiation within the nodes within that area.

25 But there is price differentiation between

1 points outside those areas and so what you have to do is you  
2 have to constrain these resources so that you don't  
3 exacerbate congestion that you can establish these  
4 aggregations within this zone -- which you wouldn't want  
5 them straddling those boundaries because you could actually  
6 exacerbate congestion, you could call re-dispatch,  
7 potential cost uplift, because again there historically has  
8 been congestion between those two boundaries -- those two  
9 zones.

10                   And so that's been an important consideration  
11 again that we borrowed from demand response into our DER  
12 aggregation as we've used that same construct in the  
13 sub-lap, defining these boundaries. The California ISO has  
14 25 of these boundaries that make up the balancing area  
15 authority so they're, you know, not too small, not too big.

16                   The other thing we did in final comment is that  
17 we did impose a size limitation. Part of this which we can  
18 get into later discussion as how you actually have to  
19 distribute the response across the different nodes through  
20 distribution factors and some of the concerns about doing  
21 that and the accuracy of that.

22                   And so we did impose a 20 megawatt size  
23 constraint on the aggregation, as sort of a first step and  
24 to test this model. So again, I think it's those two things  
25 are key to the DER aggregation model is to impose a size

1 constraint to start, and you have to bound it geographically  
2 to ensure you don't exacerbate congestion.

3 MR. HERBERT: Thanks John, Jeff, do you want to  
4 go ahead?

5 MR. BLADEN: Yes, thank you and my name is Jeff  
6 Bladen, I'm Executive Director of Market Development at the  
7 Midcontinent ISO. Thank you as well for having us here and  
8 to speak to these issues.

9 On the specifics that California ISO was  
10 describing -- I think we generally agree that you can  
11 accommodate aggregations within areas that tend to be both  
12 topologically and price consistent. But there's a broader  
13 set of issues and challenges that need to be considered here  
14 and I was thinking back about a little over 12 years ago. I  
15 was sitting at this table -- actually Henry Youshimura was  
16 sitting down the road from me that day as well in 2006. I  
17 think David was at the Technical Conference on Demand  
18 Response.

19 And on that day we talked a lot about what it was  
20 going to take to get the demand side, resource capability  
21 into the wholesale markets. And what was noteworthy is I  
22 went back and looked at my own comments and the comments of  
23 others -- was nobody was talking about what was potentially  
24 going to occur to the distribution networks if you brought  
25 demand response in.

1                   And it puzzled me for a minute because I know  
2 we've been talking quite a bit about it here -- at least  
3 within the context of this docket. And the distinction that  
4 we can't lose sight of is the challenges of taking load off  
5 the system which is what demand response is almost  
6 exclusively in all of the RTO's versus the challenges of  
7 putting supply on to the system.

8                   The need to security constrain the use of any  
9 supply resource is something that's fundamental to RTO  
10 operations. The notion of security constrained economic  
11 dispatch is fundamentally about security constrained at its  
12 start.

13                  And so as we think about aggregations -- as we  
14 think about building aggregation groups, it needs to be more  
15 than just how do we security constraint those aggregations  
16 for the transmission system, but how are we going to manage  
17 the potential constraints that might occur at the  
18 distribution level.

19                  And I know California has done some of that work  
20 and I certainly applaud them for doing that. But what I  
21 would suggest is that as we begin down this road that we  
22 recognize that we don't yet as an industry know what best  
23 practices look like in this regard.

24                  That there is an opportunity and FERC has done  
25 this repeatedly over the years to use RTOs as laboratories

1 of innovation in a sense, allow some different approaches to  
2 be developed and to let those different approaches then  
3 inform best practices over time.

4 And that once best practices can be identified --  
5 and we've done this repeatedly over the years, then bring  
6 forward a more common, more -- something closer to a  
7 one-size fits all approach.

8 I would point to MISO's own experience with  
9 extended L&P as a good example of that. We spent the better  
10 part of 10 years working on extended L&P fast-start pricing  
11 as it's come to be known. And it was only after many years  
12 of design and implementation and experience with it. New  
13 York has a version of it, ISO New England has a version of  
14 it -- that FERC then eventually came to the recognition that  
15 there's a best practice here that we want to move forward  
16 with.

17 So, as we think about this challenge I think we  
18 need to be careful that we don't lose sight of the need for  
19 the close collaboration with the distribution network, with  
20 the opportunity to move more quickly if we allow the regions  
21 to innovate in ways they can uncover best practices that  
22 allow us to deal with that real concern that we have in many  
23 ways -- our own version of the Hippocratic Oath -- the first  
24 do no harm when we dispatch resources.

25 MR. HERBERT: Thanks Jeff, did you have something

1 Joe?

2 MR. BOWRING: So thank you, I'm Joe Bowring,  
3 Market Monitor for PJM, thanks for the opportunity to be  
4 here and comment today. I think -- so I -- let me build a  
5 little bit on what Jeff said. I mean I agree with a lot of  
6 what he said.

7 But let's remember that we are a renewable  
8 system, but let's also remember as Jeff pointed out DER's an  
9 interesting example. So back when we first started talked  
10 about DER, at least in PJM, no one imagined the degree in  
11 which it would grow and become a key part of the system.

12 I think the same thing is true here. We need to  
13 think not about what's something in GRTO is doing at the  
14 moment, but what the model would be -- what the sustainable  
15 model for the significant expansion of DER-type resources  
16 which I think we will see.

17 So it's critical I think, to think about how that  
18 works in a nodal system and it's not possible to predict  
19 congestion. It's not possible to predefine constraints that  
20 are exist or don't exist. A zone is way too big for  
21 aggregation.

22 I would say anything larger than an node -- I  
23 know that's an unusual concept today but anything larger  
24 than a node would be an inappropriate form of aggregation.  
25 It is a nodal system for the appropriate integration of DER

1 into the system so as Jeff pointed out when injections and  
2 withdrawals are properly managed and it fits -- fits within  
3 the economic and technical model of the RTOs and ISOs it  
4 really should not exceed the node.

5 There's lots of aggregation that can occur behind  
6 nodes. There's aggregation that can occur for settlements,  
7 but for purposes of injection into the grid I would suggest  
8 to you that anything larger than a node is going to create  
9 issues which are non-resolvable.

10 If congestion occurs between -- between what are  
11 aggregated nodes, they're permitted -- you cannot prevent  
12 that. You cannot prevent injections and withdrawals from  
13 aggregating those constraints, thank you.

14 MR. HERBERT: Thanks Joe, let's just keep going  
15 down the line I guess. Mike, do you want to talk a little  
16 about the -- I know you guys have a DER road map that you're  
17 working on but also how you've sort of considered this issue  
18 with respect to your existing, I guess, demand response  
19 aggregations as well.

20 MR. DESOCIO: Certainly. First I want to say  
21 thank you for -- for inviting me and hosting this Tech  
22 Conference. I think it's a great topic and this is right  
23 time to be talking about these issues.

24 At New York we've been working on a DER road map  
25 as you mentioned Michael and we released that early last

1 year. And the path that New York has been taken has been  
2 focused on a single node of aggregation.

3 There's been a lot of discussion with our  
4 stakeholders on a multi-node possibility but when we think  
5 about that in New York we get worried about how we're going  
6 to deal with managing multiple transmission constraints at  
7 the same time.

8 And in New York that happens on a minute by  
9 minute, hour by hour basis. In New York it's highly  
10 transmission constrained. And when we think about where we  
11 expect DER's to locate first and foremost we expect to see  
12 DER really come into New York into the load centers were we  
13 have a lot of transmission constraints.

14 And so as we thought about how best to integrate  
15 these resources into the system and thinking about the fact  
16 that as Jeff mentioned these are going to be resources that  
17 are injecting on to grid. We wanted to make sure that we  
18 provided as much visibility and operational control as we  
19 could because we expect that as DER begins and starts to  
20 proliferate the system it's going to come really fast.

21 So yes, we don't see a lot of it today, but once  
22 the system starts to grow we expect it will come really  
23 fast. We want to be ready for that. So, you know, one of  
24 the things that I'd like to offer is as we think about these  
25 issues, we need to be thinking about the longer term future.

1 I know there is a desire to think about how to get resources  
2 into the system right now and that's important because it's  
3 going to be important for -- for the policy, it's going to  
4 be important for the grid because these technologies are  
5 reducing costs.

6                 But as we think about having lots of these  
7 resources on the system New York gets really worried about  
8 managing competing interests where you've got a dispatch  
9 signal now that is asking -- that can't decide whether they  
10 have to resource increase or decrease because there's  
11 competing constraints that it crosses.

12                 And we don't have that problem today with nodal  
13 resources like generators and central station power plants.  
14 So these are some of the concerns that we bring up. What I  
15 would also like to point out is we do allow aggregations at  
16 New York.

17                 We do that for demand response. And we do allow  
18 zone aggregations, but we don't have any participation in  
19 zone aggregations today. So as much as we hear that it's  
20 important, we don't see much of that actually occurring in  
21 New York.

22                 And so as we thought about making sure the values  
23 were there for DER and making sure that the price signals  
24 incented DER to locate in the right places it occurred to us  
25 that nodal made the most sense.

1                   MR. HERBERT: John let's go ahead and go to  
2 Andrew and Henry and then we'll come back to you.

3                   MR. LEVITT: Thanks Michael and thanks for the  
4 opportunity to speak today. PJM shares the concerns of our  
5 ISO RTO colleagues in terms of DER aggregations at multiple  
6 nodes that would span constraints. They also share concern  
7 with our market monitor in that regard.

8                   And this is a concern with respect to market  
9 clearing and pricing and settlement and also operational  
10 dispatch. I think where our perspective lines up a bit more  
11 with California is taking the view that it's more a question  
12 of what tools do we have to mitigate those concerns and sort  
13 of contain it in a way that can still be useful and provide  
14 the benefits of aggregation.

15                  We do think there are benefits to aggregation, in  
16 insuring that we have open market access to resources of all  
17 sizes including resources that are smaller than our minimum  
18 100 kilowatt minimum's highest threshold and we view nodal  
19 only as quite restrictive today given that a developer would  
20 have to find 100 kilowatts of potentially say residential  
21 scale resources at a single node, not necessarily knowing  
22 which customers are at that node -- that strikes us as a  
23 challenge.

24                  So the questions are what tools do we have to  
25 mitigate those concerns and I think that the geographical

1 approach that CAL ISO mentioned is one that can potentially  
2 work, however, PJM more than California we have  
3 unpredictable congestion as Dr. Bowring pointed out so we're  
4 actually looking at what's another tool that we can use and  
5 what's come up is if you have nodal precision in the  
6 aggregation, you actually know where each component of that  
7 aggregate is -- what node it's connected to and you can  
8 model it quite precisely.

9                 In fact it would be functionally disaggregated in  
10 many respects to prior to the optimization engines for unit  
11 commitment and dispatch running, we would know everything  
12 about each unit specifically.

13                 And then after the fact -- after the operating  
14 incident, it would also be disaggregated for settlement  
15 purposes. Each unit separately uploads what it did and each  
16 unit separately gets a settlement line item -- it might be a  
17 single settlement check but it would still be separately  
18 laid out.

19                 Where it becomes aggregated is just when you're  
20 running the day head engine -- just when you're running the  
21 economic dispatch optimization engines you said perhaps you  
22 have 1,000 nodes in a very wide area zone. You could have  
23 100 miles by 100 miles to a zone, 1,000 nodes -- maybe a  
24 particular aggregate is only at four of those nodes so  
25 engines would say, okay, I have to pick up this one resource

1 at four different nodes.

2           If I raise it up to 100%, I'm going to get that  
3 one resource at those four nodes and the engine will know  
4 precisely what the impact on congestion would be. If it  
5 hurts congestion it will not be committed, it will not be  
6 dispatched and that really mitigates that problem -- so  
7 that's one very useful tool especially from an operational  
8 perspective.

9           The second useful tool is again borrowing CAL  
10 ISO's notion of the maximum size in the individual  
11 aggregated resource -- so you might find 25 kilowatt  
12 resources to build 100 kilowatts. Maybe you find another 20  
13 you can reach 200 kilowatts.

14           In our proposal once you get to 1 megawatt, you  
15 now build a new aggregated proposal elsewhere or aggregated  
16 resource, excuse me. So, it does not strike us as a big  
17 barrier to entry to say you cannot aggregate beyond a  
18 particular point -- you could just split your aggregation in  
19 half and have two resources and go on from that as long as  
20 the process for updating your aggregate is relatively  
21 straight-forward.

22           MR. HERBERT: Thanks, Henry go ahead.

23           MR. YOSHIMURA: Thank you. So I think -- when I  
24 think about the question of aggregation I think of this as  
25 being a method or a means toward another end. And

1 aggregation, as I read the NOPR, talks about using that to  
2 facilitate the participation of small resources in the  
3 wholesale market and also to insure that the dispatch of  
4 these resources contributes to a secure and efficient  
5 market.

6 So -- and I agree with everything that my  
7 colleagues have said on the panel thus far. What I want to  
8 do is just take a step back which is what does aggregation  
9 meet those ends -- mean that they will support the  
10 participation of small resources into the wholesale market  
11 and will they contribute to the dispatch of these resources  
12 such that the dispatch is secure and efficient?

13 And when I look at the resources that are coming  
14 into the New England System -- these are primarily solar PV  
15 and energy efficiency -- not entirely, but, but the large  
16 proportion of new resources coming to our system consists of  
17 those two.

18 Will the NOPR therefore contribute to their  
19 participation in the market? And you have to think about  
20 the type of resources that we're talking about -- these are  
21 non-dispatchable resources.

22 They are intermittent. In some cases they're  
23 baseload if you think of efficiency as a baseload resource  
24 -- so in that sense implementing the NOPR won't really  
25 facilitate the participation in the market because these are

1 things that can't be dispatched anyway.

2 So aggregating them to facilitate their dispatch  
3 in the -- in the wholesale market doesn't really contribute  
4 to the ends towards which aggregation was designed. So  
5 that's the first major point. The second is that each one  
6 of us might have different market rules that facilitate  
7 small resource participation in the market currently.

8 And that's certainly true in New England. We  
9 have -- and I followed some comments before my appearance  
10 today. We have a settlement only construct which  
11 facilitates resources of any size or actions -- any resource  
12 less than 5 megawatts, between zero and 5 megawatts can  
13 participate in the wholesale market, because there's no size  
14 limitation there's no real need for aggregation.

15 These are resources that are paid in node alone  
16 when they dispatch and these are resources that are  
17 self-dispatched. And so, we have this constrict that  
18 already facilitates the participation of -- of small  
19 generators in our market currently.

20 If we then replace that with another set of rules  
21 that requires them to be dispatched, that could cause a lot  
22 of disruption meaning that some of these resources might opt  
23 not to participate in the market at all, only because the  
24 rules and the technical requirements for dispatchable  
25 resources are more stringent than other types of resources.

1                   So you have to have telemetry, you have to have  
2 technical requirements -- et cetera. So we're afraid that  
3 implementing a new model of the sort that was talked about  
4 in the NOPR would actually cause resources to not  
5 participate in the wholesale market and rather, perhaps just  
6 participate in the retail markets and monetize their value  
7 by reducing wholesale load.

8                   So that's the sort of thing that we're thinking  
9 about will happen if we implement this sort of vision that  
10 was outlined in the NOPR.

11                  MR. HERBERT: Ask one follow-up real quick Henry  
12 -- the settlement only resources, are they -- what services  
13 are they providing? Is it only energy and what types of  
14 assets are those in your market today?

15                  MR. YOSHIMURA: Right, so they would be energy  
16 and -- and capacity, possibly capacity. They don't have to  
17 participate in the capacity market but a settlement only  
18 resource -- that construct is an energy only construct.  
19 However, they can participate as a capacity resource as  
20 well.

21                  The types of things that we see participating  
22 include as I mentioned, the solar PV, there's a lot of hydro  
23 -- small hydro units that participate that way. There's  
24 some biomass, you know, methane gas, landfill gas-types of  
25 units as well and some wind as well, small wind units.

1                   So in terms of size the hydro dominates and  
2 landfill gas and methane, digested gas -- that sort of  
3 thing, is also in there and then the wind.

4                   MR. HERBERT: Thank you, John do you want to go  
5 ahead?

6                   MR. GOODIN: Thank you I just wanted to respond  
7 to some of the comments made by the fellow panelists that  
8 first starting with Jeff that absolutely agree that the DER  
9 aggregation requires a level of coordination and  
10 collaboration that you really don't see up to this point --  
11 not even in demand response because the impacts that DER can  
12 have on the distribution system.

13                  Because of that the ISO's spent a year and a half  
14 with monthly meeting with our UDCs working about -- working  
15 on that TND coordination as rules and responsibilities that  
16 the TND interface.

17                  That's probably much easier in a single state ISO  
18 than multi-state but that actually bore fruit. There's a  
19 lot more work to be done there but clearly acknowledge that  
20 these DER aggregations have to be feasible. That dispatch  
21 has to be feasible from the T to D and the T to T, that's  
22 essential.

23                  As far as Joseph Bowring on the aggregations I  
24 would just say that I think that if we're going to go down  
25 this policy and under this existing market paradigm that

1 aggregations are sort of going to have to occur -- they're  
2 going to have to happen for the small resources for DR and  
3 DER.

4 And aggregations are not something new to DER in  
5 the ISO market. We have physical scheduling plants on the  
6 hydro system that are connected to multiple nodes that  
7 participate as a single resource, so it's not a new  
8 construct if you will.

9 And again, I think as far as a policy we're going  
10 to have to figure out how to make that work rather than  
11 single node. I just don't see how you can get resources  
12 substantial enough to really participate at a single node.

13 And just for clarification, I said that the ISO  
14 DER aggregation model allows for 20 megawatt resource,  
15 that's the absolute size of this disaggregated resource.  
16 Individual resources are anywhere from .5 megawatts to 1  
17 megawatt. So the sub-resources can only be of that size.  
18 Once you exceed the megawatt then you're over on our  
19 participating generator -- so I just wanted to clarify that  
20 point.

21 MR. HERBERT: Mike, let's go to you first.

22 MR. DESOCIO: Thank you. So this is Mike DeSocio  
23 again. I just wanted to offer a couple more thoughts that  
24 might be helpful as we think about this issue. And as New  
25 York has thought about it we've been thinking about this in

1 a more holistic view.

2 Part of the DER roadmap was to also recognize  
3 that there's some state involvements, the policies that are  
4 also trying to -- to get DER to enter the grid and become  
5 more proliferate with how we operate the system.

6 And so when we think about that, the ISO has been  
7 thinking about wholesale rules that also blend well with  
8 distribution utility operations and we've been working with  
9 the joint utilities in New York for the last few years on  
10 working through coordination agreements and how we would  
11 actually facilitate a system where you've got multiple  
12 assets down on the distribution grid, but also providing  
13 wholesale services.

14 And there's a lot of coordination that needs to  
15 occur -- coordination that we haven't really had to deal  
16 with in the past. And as you start to expand the set of  
17 nodes that aggregations can occur across, that makes it a  
18 little more difficult for a utility to say move DER, that it  
19 needs for a distribution need and not cause other issues on  
20 the transmission system because -- because the response may  
21 not be fully understood or captured by -- by the software  
22 that's doing the dispatch.

23 And we can try to model that but I think what  
24 that requires is more information and more information means  
25 a higher burden to actually participate in the wholesale

1 market which we're also trying to avoid.

2 At the same time, New York is really focused on  
3 aggregations because we see that as the way to really allow  
4 these resources to participate in the wholesale markets.

5 And the size limitations that we're thinking about are -- we  
6 think are very -- are not very restrictive.

7 We're thinking about aggregations where the  
8 minimum asset size in the aggregation could be as little as  
9 a KW and the aggregation size needs to only amount to 100  
10 KW. So when you start to think about those types of rules,  
11 now the multi-node model maybe is not as meaningful as a  
12 single node model and so we've been thinking about this in  
13 kind of a holistic design view.

14 How are we going to allow these resources to  
15 participate in the wholesale market, but also understand  
16 that a lot of them are coming to the wholesale market  
17 because there are other needs or issues they're dealing with  
18 -- they're being brought on to deal with distribution feeder  
19 unloadings and things like that.

20 And so we're also trying to make sure that as we  
21 develop these rules, that we don't create obstacles for  
22 coordination with the utilities or obstacles for DER to  
23 participate only in one market versus the other.

24 MR. HERBERT: Thanks Mike. Let's give Jeff and  
25 then Henry an opportunity to respond and then we'll -- I

1 think we need to move on to the next question.

2 MR. BLADEN: Thank you again, this is Jeff Bladen  
3 with the Midcontinent ISO. Reiterating some of what you've  
4 heard but mostly I want to emphasize one element of the  
5 opportunity in front of us because DER does represent an  
6 opportunity, far more than anything else, but an opportunity  
7 that doesn't come without -- you know, most opportunities  
8 don't come without some risks.

9 And as we think about the decentralizing nature  
10 of our grid -- moving away from central station resources  
11 towards decentralized resources, distributed resources --  
12 the, the challenge in front of us to capture that  
13 opportunity is to do that in a way that maintains or grows  
14 the value proposition that RTOs have delivered to consumers,  
15 but to do it in a way that's reliable.

16 And that is really what we're focused on and as  
17 my colleague from California mentioned a minute ago -- the  
18 challenges of building that common platform for a  
19 multi-state region -- in our case more than a dozen states  
20 with many dozen local utility operators operating  
21 distribution grids is a different challenge, a unique  
22 challenge that -- versus a single state RTO for instance  
23 that I don't want to minimize the challenge that California  
24 and New York have faced in building their approaches but in  
25 some respects it was simpler than building a common platform

1      across a multi-state region with many utilities within each  
2      state.

3                And so what I would suggest is that the  
4      opportunity in front of us to maintain and grow the value  
5      proposition by taking advantage of the capabilities of  
6      distributed resources is to allow for the development of the  
7      right approach -- the tailored approach which in many cases  
8      we've accepted for different regions.

9                That what we might come up with that is  
10     extraordinarily useful in the Midcontinent may be less, less  
11     so in other parts of the country and the same may hold true  
12     for what happens in other RTOs.

13               Last but not least, the notion of aggregation --  
14     I think it's important for us to call the question of is it  
15     fundamentally required? Is it an essential part of how you  
16     would approach this question or is it something more like  
17     what we've been hearing which is this notion that let's make  
18     sure that resources have access to the extent that they need  
19     it in a way that is feasible, that is reliable, and allows  
20     them to deliver their capabilities to the market for the  
21     benefit of the public interest without focusing solely on  
22     the method.

23               Some of the notions that PJM mentioned early on  
24     are also ones that MISO's been thinking about this notion of  
25     essentially re-aggregating or re-configuring what might come

1   in as an aggregated group of distributed resources in such a  
2   way that we can maintain security constraint across an  
3   aggregation and then allow that to be fed into our  
4   optimization systems, rather than requiring an RTO on a one  
5   size fits all basis to somehow come up with a -- a less  
6   dynamic way of maintaining security constraint as it  
7   dispatches aggregations.

8                 The notion that you could dispatch part of an  
9   aggregation group, for instance, ought to be on the table  
10   for instance as you think about the challenges of trying to  
11   security constrain the transmission system, let alone -- as  
12   I mentioned earlier, a distribution system.

13                MR. HERBERT: Henry, go ahead.

14                MR. YOSHIMURA: Thank you. Just one other point  
15   I'd like to raise. We could create a very sophisticated set  
16   of market rules and infrastructure to create aggregations  
17   and dispatch demand, excuse me -- distributed energy  
18   resources.

19                The question then becomes do these resources want  
20   to participate in our markets in that set of rules. With  
21   those rules you asked me a question Mr. Herbert where, you  
22   know, what sort of services can SOGA Resources provide?

23                We could expand that to include things like  
24   operating reserve. By the way, these cell minority  
25   resources if they install the right equipment can provide

1 regulation services currently -- none have opted to do so  
2 but that's -- I mention that that's instructive.

3                 Because we could give them the opportunity and  
4 expend the resources, develop our markets to enable the  
5 distributed resources participate. The question is whether  
6 or not they will participate. And if they don't  
7 participate, is there some other way in which they can  
8 participate in the market without participating in the  
9 wholesale markets and the answer is yes, they could  
10 participate in the retail markets.

11                 They're in the retail space, they're in the  
12 distribution system. Often they're behind the customer  
13 meter so they're actually retain customers with a resource  
14 sitting behind the meter. So apart from jurisdictional  
15 issues which I'm sure the next panel will perhaps discuss,  
16 there's a question of whether or not these customers and/or  
17 resources if -- even if given the opportunity to  
18 participate in the markets would actually do so and provide  
19 additional services above and beyond what I mentioned before  
20 which was energy and capacity.

21                 What's left that would be ancillary services.  
22 The ancillary service market is a relatively small market  
23 and in ISO New England's case you know, ISO cleared  
24 something like a little under 7 billion dollars of  
25 settlement money last year.

1                   Most of that's in energy. The next share of that  
2 is capacity and then there's a little sliver which is less  
3 than 2% of, of market revenues go toward ancillary services,  
4 operating reserve regulation.

5                   And there are a lot of requirements because those  
6 are reliability products. There are a lot of requirements  
7 around them. We need telemetry to know the state of the  
8 resources. We -- there's more technical requirements,  
9 communication -- electronic communication requirements which  
10 get somewhat expensive when you're talking about  
11 communicating with smaller resources -- and perhaps we could  
12 streamline that but they're still expenses so the question  
13 is whether or not by developing an infrastructure well-  
14 distributed energy resource want to participate, to provide  
15 those types of products -- the ancillary service products.

16                  And in my conversations with various providers it  
17 seems like there's very little interest in that, partially  
18 because the revenue opportunity is relatively small, the  
19 requirements are rigorous and so one has to really think  
20 about whether or not developing these capabilities will  
21 actually bear fruit -- that there'll be benefits from that,  
22 and we fear there will not be.

23                  MR. KATHAN: I have one follow-up and it's  
24 directed towards Andrew at PJM. Related to some of the  
25 things that Henry was just mentioning -- you talked about

1 one of the tools was to use more targeted dispatch of a, you  
2 know, the portion of an aggregation when necessary.

3 What data -- what, you know, tools, what  
4 communication telemetry, whatever, would be needed in order  
5 to support that type of targeted dispatch?

6 MR. LEVITT: Yes so I want to clarify that. The  
7 -- the aggregation would not be dispatched in part, it would  
8 always be dispatched as a -- as an entirety as it was  
9 offered. So in fact, it actually would implement very much  
10 as CAL ISO discussed in their DERP rule where there's a  
11 waiting that goes along with each node that the seller sort  
12 of provides as part of their offer to the market.

13 We take that waiting and we'll dispatch it  
14 accordingly but we would not change that waiting to dispatch  
15 part of it.

16 I do want to say that PJM has many hundreds if  
17 not thousands of water heaters -- electric water heaters  
18 that participate in our regulation market -- this is an  
19 ancillary service that requires telemetry. And so it does  
20 seem like there is a case to be made that there is low cost  
21 telemetry available for small resources that meets the  
22 technical requirements -- at least PJM's technical  
23 requirements.

24 So it's -- it is true that becoming a market  
25 resource has -- can be difficult in certain circumstances

1 but some of those barriers may be surmountable.

2 MR. HERBERT: Great, thanks guys. So the second  
3 question talks a little more about transmission constraints  
4 and so because transmission constraints change over time  
5 would the ability of a multi-node DER aggregation to  
6 participate in an RTO ISO market need to be revisited as  
7 system topology changes?

8 So I guess can you talk a little bit about how  
9 often those constraints may change and how those changes may  
10 impact the ability of aggregations to participate in the  
11 markets and we can start -- we can start with John again.

12 MR. GOODIN: Yeah again for the California ISO as  
13 I explained we have our 25 sub-laps, those are the zones  
14 where these aggregations can occur. They have been stable.  
15 In fact we really established this construct back in 2009  
16 when we reformed our market to a nodal market, we  
17 established the sub-laps for transmission revenue right  
18 purposes but they've been useful for both demand response  
19 aggregations and now distributing new energy resources.

20 As far as their stability again the topology of  
21 the grid is fairly stable. It doesn't change quickly.  
22 There are additions in the transmission system, both  
23 generation and transmission generators connect to that  
24 transmission. But it's generally fairly stable.

25 And so what we've seen is that we made our first

1 change to the sub-laps in it was about 8 years before we  
2 made a change. In fact January 1, 2017 was the first time  
3 that we made the change to the sub-laps. I think we grew by  
4 two sub-laps, changed some of the boundaries on a couple but  
5 overall the sub-laps remain fairly consistent. We  
6 understand that there are impacts to market participants,  
7 particularly like demand response that have these  
8 aggregations set up in the sub-laps that are counting for  
9 things like resource adequacy capacity.

10                 And so if you change the boundaries that can  
11 really disrupt some of those market arrangements that folks  
12 have, contractual arrangements. But again, there hasn't  
13 been a significant change in the sub-laps updated January  
14 1st, 2017 minor updates, but fairly stable.

15                 And again, not a lot of persistent congestion or  
16 price differentiation within those sub-laps historically so,  
17 fortunately it's been a fairly stable construct.

18                 MR. HERBERT: Great, thanks. Let's go back to  
19 the left, Jeff?

20                 MR. BLADEN: Thank you again, Jeff Bladen with  
21 MISO. I think -- I think it's noteworthy that California's  
22 had such stability. I would -- I would add though that we  
23 want to be thinking about as Dr. Bowring said earlier, what  
24 do we need to do to build a system that's capable of  
25 meaningful and potentially dramatic growth of these assets?

1                   And what may have been stable -- certainly in the  
2 Midcontinent region over the last few years may well not be  
3 stable as we move forward. And as we think about this  
4 challenge going forward we are thinking about the need for  
5 something that is far more dynamic in nature and our  
6 experience sitting literally in the middle of the eastern  
7 interconnect with flows coming from north, coming from east,  
8 coming from west, crossing the system -- the topology is  
9 only one element of the dynamic that will change -- that we  
10 are seeing dramatic growth in central station wind for  
11 instance.

12                  We are seeing meaningful changes in the resource  
13 fleets in other parts of the Eastern interconnect and so all  
14 of that is going to drive towards a need for a far more  
15 dynamic approach for how you think about dispatching assets.

16                  This is only amplified if, as I said earlier in  
17 my comments, we continue a trend towards a less centralized  
18 fleet towards a decentralized fleet. The importance of  
19 these assets in maintaining security of the system will only  
20 grow. So let's be careful that we don't design something  
21 that is good for now but really isn't built for the  
22 long-term.

23                  And so I would encourage, based on my earlier  
24 comments, or reaffirm, encourage, thinking about this as an  
25 opportunity to establish a pathway for innovation across the

1 different regions to think about these challenges that are  
2 somewhat unique in each region, identify best practices over  
3 the coming years and then use that over time to allow us to  
4 adopt what we learned from -- from our colleagues around the  
5 country.

6 MR. KATHAN: Joe, I believe you were indicating  
7 interest in talking.

8 MR. BOWRING: Yes. I thought you were going to  
9 go down the road but I'll put up my card next time. So I'm  
10 surprised to hear that congestion is stable, perhaps it  
11 depends on the timeframe you look at. But in PJM congestion  
12 is not stable, congestion as Jeff said is extraordinarily  
13 dynamic -- it changes from minute to minute, hour to hour,  
14 location to location.

15 There is no way to say that congestion will not  
16 occur across a particular transmission path. And the  
17 question in point two is you really cannot do it correctly.  
18 It will be clunky, it will be reactive, it will be after the  
19 fact.

20 In order to fit a nodal system, it has to be --  
21 resources do have to be looked at. Normally I agree with  
22 Jeff, we have to think about what's this going to look like  
23 when there's substantially increased levels of DER  
24 participation as there may well be. And you have to take  
25 account of the actual dynamic nature of the system.

1                   And what's interesting because I haven't really  
2 heard a strong argument for aggregation. I'm not quite sure  
3 what the argument is. PJM is saying they're getting really,  
4 really close to the point where they're going to even to be  
5 able to estimate what the waits are -- but is it is going to  
6 rely on the DER resource to give them the waits.

7                   Why not just do it? Why not just go all the way.  
8 You can't -- you cannot correctly model it if you don't have  
9 the nodal information. Why not get the nodal information  
10 from the aggregate as aggregation can occur at the sediment  
11 level. It's not a barrier to entry to have a nodal  
12 requirement.

13                  I mean as NERC pointed out in one of their many  
14 reports on the topic. I mean they said to quote them, "The  
15 classic net load model up to this distribution system is not  
16 valid. DER must be handled separately. There has to be  
17 modeling, there has to be data, there has to be static data,  
18 there has to be dynamic data."

19                  If this is going to work with the system and  
20 system operators are going to continue to have the ability  
21 to control the system, both the distribution levels that  
22 have been talked about at the transmission level, then we  
23 need to know where these resources are. We need to know  
24 what they are.

25                  We need to know what they're capable of doing.

1 In fact we need to know what they are doing in real time,  
2 thanks.

3 MR. HERBERT: Thank you, we have a question from  
4 Commissioner LeFleur and then we'll come back and let you  
5 guys respond.

6 COMMISSIONER LEFLUER: Thank you Michael and  
7 thank you all for being here. This is a great panel and I  
8 just can't resist asking a question now that I'm looking at  
9 the people who actually run the system and will make this  
10 work.

11 I accept what I think every single one of you has  
12 said that there are substantial coordination issues in  
13 making this work because of the nature of the resources,  
14 because of -- the fact that you're importing supply from  
15 sometimes beyond having the distribution meter, et cetera.

16 And, but -- that's why we're having this two day  
17 Tech Conference. I feel like the pace of technological  
18 change is such that if we don't figure out how to do this  
19 for the customers we're leaving a lot of value on the table  
20 for them, so I appreciate your being here.

21 My question is -- it goes to something Jeff said  
22 and I think other people echoed. Why there should be  
23 process differences and how we figure this out or address  
24 this among the different regions.

25 I understand completely some regions have one

1 state and one state ISO or multi-state -- that's a big  
2 political regulatory difference. I understand different  
3 regions might have different prioritization in CAISO and New  
4 York this has been driven as a state priority, other places  
5 maybe not quite as much.

6                 But beyond the prioritization issue, shouldn't we  
7 try to solve the coordination process once and then sort of  
8 spread that as opposed to developing six different ways to  
9 do it and then we'll be talking about -- next we'll be  
10 talking about borders and we'll have another Tech Conference  
11 long after I'm not here about oh my God, there's six  
12 different ways to do it, how can we share best practices?

13                 Maybe we should standardize more? Could we skip  
14 a step and figure it out? So I'm interested in like what  
15 are the technical reasons in your rates or your market  
16 design that I don't understand why it has to be different  
17 besides the political regulatory reasons -- yeah they're  
18 different. Big question but I have the right people.

19                 MR. HERBERT: Go ahead Mike.

20                 MR. DESOCIO: This is Mike DeSocio from the New  
21 York ISO. Cheryl that's a great question, and I don't know  
22 that the rules are the issue. I think really what the main  
23 difference that we've observed in New York is what is the  
24 posture of each of the different distribution utilities?

25                 What is their ability to actually see into their

1 own grids, how much data, how much of that information did  
2 they already have? And that changes the dynamic of what  
3 then an ISO can ask the utility to provide them to help  
4 manage the coordination.

5 So it will be different utility to utility and I  
6 think that is what -- at least in the ordinance what we've  
7 seen the most is the coordination agreements we're working  
8 through have to deal with what information is currently  
9 available and what information do we need to go build up and  
10 then what is the pace of actually getting there?

11 COMMISSIONER LEFLEUR: That's for the next panel  
12 to sift through. They want this, they regulate these  
13 utilities not us so much, you know, the distribution.

14 MR. HERBERT: John, do you want to go ahead?

15 MR. GOODIN: Yes, thank you. To your question I  
16 think it's interesting because of the modeling, the  
17 dispatching, the settling of DER, those are surmountable  
18 issues. You hear some concerns about maybe what I would  
19 think more around the edges of the reliability of these  
20 resources and the effects on the market.

21 But I think these are surmountable issues. We're  
22 doing it and it's being done. But to your question about  
23 solving this coordination process -- I think our challenges  
24 are really sort of not what's being done but what's undone.

25 In other words, what's undone is really

1 furthering this coordination at the TND interface, that  
2 collaboration with the UDCs and how we ensure that these  
3 dispatches from the wholesale market are feasible end to  
4 end.

5 End to end feasibility is huge. I would say that  
6 above and beyond sort of the modeling dispatch, sort of the  
7 core ISO functions, that really what I think we are going to  
8 enable DER to really flourish you have to address some of  
9 the things that are outside the walls of the ISO and the  
10 authority of an ISO through FERC.

11 And I think the three things are really, you  
12 know, access to capacity markets and resource advocacy,  
13 capacity payments -- that's number one. I think there are  
14 interconnection barriers and costs -- number two.

15 And number three is non-trivial is this lack of  
16 sort of clarify around these multiple value streams and how  
17 these resources that are providing these grid services to  
18 the ISO -- how can they simultaneously provide services to  
19 the customer domain or the distribution domain?

20 And in my opinion, those are the much more  
21 weighty issues -- resource adequacy, interconnection,  
22 multi-use, than sort of the day to day functionality of  
23 managing these DER's and settling these DER resources in the  
24 wholesale market.

25 MR. HERBERT: Henry?

1                   MR. YOSHIMURA: Yes so I think the primary issue  
2 that we have is that there really isn't consensus in the  
3 industry as to how distributed energy resources ought to be  
4 operated if at all.

5                   And the struggle that any ISO would have is  
6 whereas we model transmission constraints I don't think any  
7 of us model distribution constraints and I think other  
8 panels will address that issue.

9                   But then the question is well who is going to do  
10 that then? If we're anticipating and this is a big -- if  
11 we're anticipating a future where distributed energy  
12 resources become very prevalent, that they're a major source  
13 of capacity for our region -- by the way New England has a  
14 pretty large amount of distributed energy resource capacity  
15 already.

16                  With that said, what if we triple that? What if  
17 we quadruple that right? Who should be operating these  
18 resources? We don't have consensus about that. We know  
19 certain things about distribution utilities is that they  
20 have -- the tools that are available to them are still  
21 fairly crude in terms of operating, gaining visibility and  
22 operating distributed energy resources on a very granular  
23 level, at the theater level.

24                  Maybe some will want to do that, maybe some will  
25 not want to do that and we heard from two ISO's that serve a

1 single state. Some of us operate in multiple states and you  
2 could imagine even as one state could have variations with  
3 -- among the utilities within the state, think of the states  
4 that we all serve for the multi-state RTOs.

5 We have, you know, in New England, you know it's  
6 Massachusetts or New Hampshire, you know -- the delivery of  
7 dio-state or Massachusetts. So you could see that there's a  
8 lot of variation within the regions and how they decide to  
9 operate or not their systems, will dictate then to a large  
10 extent, how the ISOs then have to adjust.

11 If, if distribution companies actively operate  
12 DER's within the distribution system, that -- that means  
13 that we do something different than what I think we're  
14 currently thinking about which is having ISOs operate these  
15 resources as though they're wholesale bulk par resources,  
16 even though they're in the distribution system.

17 So again, I don't think we have consensus in the  
18 industry, let alone in a single state or within a region.  
19 How the best map out, what the architecture of this industry  
20 is, with a greater penetration of distributed resources.

21 Once we have that nailed down I think it becomes  
22 very easy. I shouldn't say very easy -- it becomes easier.  
23 At least we know what we're aiming for. Right now I think  
24 we're -- we're kind of struggling with some of these basic  
25 questions as to who's going to operate these things.

1                   And then as they operate the distribution company  
2 let's say or a distribution system operator, how do then  
3 they communicate with us? So, if that's the case then I  
4 think we could then start thinking about requirements and  
5 the type of information that we would need, when we would  
6 need it, but if -- we're not even there yet.

7                   MR. HERBERT: Jeff, go ahead.

8                   MR. BLADEN: Commission LeFleur thank you and I  
9 appreciate the question. It is something that we are very  
10 concerned with at MISO not because we're looking for special  
11 treatment but because we're recognizing that as Henry  
12 pointed out, we haven't figured it out yet.

13                  I think what's important to understand when we  
14 think about the -- the opportunity for identifying best  
15 practices through innovation that can occur in different  
16 places in different ways, is that we're all facing different  
17 challenges.

18                  As Henry pointed out you can have different  
19 utilities approach the question of how they want to bring  
20 distributed resources to bear, what they want, what they're  
21 going to invest in, what technologies they're going to us in  
22 the form of distributed resources.

23                  Is it going to be gas micro-turbines, is it going  
24 to be solar, is it going to be storage, is it going to be  
25 something we haven't thought of, fuel cells, all of these

1 have different characteristics and the way in which you  
2 would operate them looks differently and the mechanisms that  
3 you use to integrate them are different let alone the fact  
4 that some may choose to have differing levels of  
5 distribution automation or distribution dispatch  
6 capability.

7 So, you know, at MISO we like to think of  
8 ourselves as a service provider to the states in many  
9 respects. That our job is to take the fleets that the  
10 regulators are designing and implementing through their  
11 integrated resource plans and optimize that to get the most  
12 value you possibly can out of that fleet across a broad  
13 region.

14 And because inevitably, the investment choices  
15 within different states is part of those integrated resource  
16 plans, we'll look different in each of our states let alone  
17 from the Midcontinent to the East or the West.

18 We have to adjust. We have in our experience,  
19 adjusted to choices that have been made around investing in  
20 things like wind. We build special products, special  
21 capabilities to manage the largest wind ramps of any grid  
22 operator on a megawatt basis -- any grid operator in the  
23 world, we have larger wind ramps that we deal with every  
24 day.

25 And we have special tools, we have special market

1 elements that are designed to deal with that unique  
2 characteristic. So to the extent that we could imagine  
3 everybody's grid is going to look identical -- it's going to  
4 have identical technologies, identical investments in  
5 distribution automation, then maybe today we can say  
6 absolutely we can solve this challenge.

7 I think where we are right now is we don't know  
8 yet what best practices are going to look like. We don't  
9 know yet what the dominant DER technologies are going to be  
10 and that what you have in front of you is a number of  
11 companies that are invested in identifying best practices.

12 And as you've already heard from California, some  
13 are beginning to emerge but we still need to figure out how  
14 do we get them to the point where we could actually  
15 translate them to other places.

16 COMMISSIONER LEFLEUR: Well that's very helpful  
17 and I think that gets down to again different state  
18 regulatory choices. But to the extent they're developed  
19 dominant technology of solar rooftops, which one might say  
20 there already is -- but I mean, you know, distributed solar  
21 or car batteries become ubiquitous then we hopefully can  
22 achieve some level of standardization of how they're  
23 aggregated and fit in so we don't have to -- I mean at some  
24 level, you know.

25 MR. HERBERT: Please.

1                   MR. BLADEN: That's absolutely right Commissioner  
2 and I would add, you know, that a few months ago I said to  
3 my Board of Directors in a public meeting so we can look  
4 back at the notes if anybody's curious. I said that we very  
5 much look to our other RTO brethren for ideas how to get it  
6 right and I think the way I put it was, "Good artists copy,  
7 great artists steal."

8                   So we're going to -- where we see good ideas  
9 we're going to take them and adopt them before there's ever  
10 a requirement from this Commission for us to do that if it's  
11 smart to do in California or New York, we're going to try to  
12 adopt that in Midcontinent, just like we think has occurred  
13 in places where we've been innovative and others have  
14 adopted it.

15                  MR. BOWRING: So in the spirit of brevity the  
16 answer to your first question is yes. Of course, we should  
17 have the same rules. And the fact that there are all these  
18 complexities doesn't mean we should have the same set of  
19 rules. The same set of rules will evolve, but we need to  
20 start in the same place where everyone is facing the same  
21 issues.

22                  And if the wholesale market has set up a set of  
23 rules, the distribution utilities can decide how they want  
24 to interact with that. The point of the wholesale market  
25 really should be open access but respecting the nature of

1       nodal systems and the distribution.

2                  That can accommodate a whole entirely different  
3       approaches from different distribution utilities as it  
4       should, that's not a reason not to have a single project for  
5       us all RTOs. Of course, of course that's the right answer.

6                  MR. HERBERT: Andrew go ahead.

7                  MR. LEVITT: Also in the spirit of brevity I  
8       can't answer that question but I'll provide a data point if  
9       anyone wants to try to take a stab at it. It is true that  
10      the technical situation in California appears to be  
11      different from the technical situation in PJM.

12                 We have congestion that crops up anywhere and  
13       everywhere on lines across the system and so we do not have  
14       the luxury of sort of, of having a geography within which  
15       you can aggregate and not suffer the consequences of -- of  
16       congestion.

17                 And our solution to that is just to have a  
18       smaller maximum size cap of one megawatt instead of 20  
19       megawatts and we are comfortable with proceeding with  
20       aggregation regardless.

21                 Again, if we model the aggregation with total  
22       precision, we know exactly where the different components of  
23       the aggregate are, we will know if it exacerbates congestion  
24       and we will not dispatch it in that circumstance.

25                 MR. HERBERT: Alright thanks. I know a few of

1 you had your tent cards up with respect to the stability of  
2 transmission constraints. Let's go ahead and get some final  
3 thoughts on that, Mike do you want to start?

4 MR. DESOCIO: Thanks, this is Mike DeSocio from  
5 New York ISO again. So -- so in New York I would suggest  
6 that we also have transmission constraints that are fairly  
7 predictable often.

8 Where we're also tasked as great operators to  
9 manage the grid in times of stress, and recently we've all  
10 been asked to think about how we're going to deal with  
11 resiliency issues. And as we think about resilience it  
12 occurs to at least New York where we've suffered some, some  
13 storms that have crippled the southern part of the state for  
14 days and weeks.

15 That having some flexibility, making sure that  
16 these resources are aggregated in a way that we can get  
17 access to them when we need them the most was also appealing  
18 and another reason that we thought about a single node  
19 approach.

20 So, as much as, you know, congestion can change  
21 and that's true -- the topology also can change and the  
22 times that it matters the most are the times when the  
23 topology has changed in an unexpected fashion -- that's when  
24 the grid operators need the systems to work the best.  
25 That's when the grid operators need to know the information

1 is accurate.

2 And so that to us was really our underpinning on  
3 how we approached the design we did.

4 MR. HERBERT: Thanks, Henry do you want to go  
5 ahead?

6 MR. YOSHIMURA: Yes, so on the issue of  
7 transmission constraints I think most of the people on the  
8 panel have concentrated on the real time markets. I wanted  
9 to just focus a little attention on the capacity market with  
10 respect to changing of zonal configurations.

11 So let's say you have a DER that is in a zone of  
12 some type and it's consisting of, you know, X number of  
13 individual small resources. The question that comes up in  
14 the capacity market if these things aren't participating  
15 nodally, individually that is, is that what if a zone  
16 changes and some of the individual assets now fall in a  
17 different zone.

18 How does the capacity obligation -- capacity  
19 supply obligation that belonged to the aggregate get divided  
20 up? If -- because you could think of a capacity obligation  
21 as a financial position taken by a market participant which  
22 is satisfied with physical resources.

23 Or you could think about the capacity obligation  
24 is following the individual resource and also in some of our  
25 capacity markets, you could take on multi-year obligations.

1 In other words, you clear as a resource in one year but then  
2 you retain an obligation for, in our case, 7 years -- up to  
3 7 years.

4 So, if that is a possibility within that  
5 timeframe the zone changes and some of these assets then get  
6 stranded in another zone with different pricing et cetera.  
7 The question then becomes how do you deal with that? That  
8 becomes a unique problem with those with capacity markets.

9 And I just pointed that out that that is  
10 something that we have thought about with respect to  
11 aggregations and how one would have to manage the changing  
12 zonal configuration when you have that participating in the  
13 capacity market. One has to start from the very beginning  
14 -- what is a capacity position to start with?

15 Is it financial or a physical position? And then  
16 from there take if the zonal configuration changes, then you  
17 have to do something with how these assets that fall in  
18 different zones after a bit of time, how then the obligation  
19 gets divided up if at all.

20 So that's just something that is work that needs  
21 to be done. It's work that's not going to be -- it's going  
22 to be controversial as well, how we do that.

23 MR. HERBERT: Okay thanks Henry. I think we've  
24 pretty well covered question 3 already with respect to the  
25 differences between multi-node aggregations and sort of

1 traditional resources so let's skip ahead to the fourth  
2 question.

3 What types of modifications would need to be made  
4 to the modeling and dispatch software communication  
5 platforms and automation tools necessary to enable or not  
6 reliable and efficient dispatch for multi-node DER  
7 aggregations and how long would it take for these changes to  
8 be implemented?

9 Any takers -- Andrew, go ahead.

10 MR. LEVITT: Yeah, so briefly we do have  
11 multi-node aggregation for generators already today as I  
12 think CAL ISO indicated they do as well. And so it seems  
13 like we are pretty turn key to use that at a high level.  
14 I'm sure we'll flush out something that's not a huge  
15 implementation.

16 We also have an implementation for something we  
17 call economic demand response which is load side resources  
18 not on the capacity market which is 95% of our demand  
19 response but instead in the energy market they have real  
20 time energy market and that is another tool we might be able  
21 to leverage so either of those paths seem relatively  
22 straight-forward.

23 MR. HERBERT: Thank you, Jeff do you want to go  
24 ahead?

25 MR. BLADEN: Yeah, I would add that a number of

1       RTOs are either currently or are in the later -- are  
2       currently in the later or earlier stages of major technology  
3       platform rebuilds. In MISO's case we have a 100 - 130 plus  
4       million dollar project underway to revamp our market's  
5       platform.

6               And one of the things I would want you all to be  
7       cognizant of is that it agreed to if we move to make changes  
8       to systems or have requirements to make changes to systems  
9       that are soon to be retired, those costs may well not be  
10      prudent in some sense.

11              So if we're two to three years away from new  
12      platforms for RTOs that would be, I think it would be wise  
13      to consider whether it's necessary to make changes in the  
14      short-run particularly if there are a means for access that  
15      could be accommodated in existing platforms.

16              It's -- it's something that we take very  
17      seriously, the costs that we impose on our membership and on  
18      consumers ultimately as a result of the technology  
19      investments.

20              Just to be clear, our plans for the new platform  
21      in MISO's case are to be able to accommodate distributed  
22      resources at a far more granular basis than we could today,  
23      but that is in the offering it is not something that would  
24      be possible in our existing platform.

25              MR. HERBERT: Joe, please?

1                   MR. BOWRING: Yeah, so as you can tell from what  
2 I've said so far I think the challenge is how should -- what  
3 modifications would be necessary in order to facilitate RTOs  
4 and ISOs being able to do this fully nodally?

5                   And I haven't actually -- I mean I think that  
6 really is the key question. I think it would be a mistake  
7 to -- as Jeff said, kind of look backwards to an aggregation  
8 model instead we should be looking forward to seeing how  
9 what changes, if any, need to be made to reduce the required  
10 size if that's the barrier to address the issues that  
11 allegedly require the need for aggregation so that the DER  
12 resources can fit seamlessly into the market without  
13 changing the market in ways that are inconsistent with the  
14 basic function of the market handling, security constraint,  
15 economic dispatch for example.

16                  And I would suggest that the whole point about  
17 getting it right now so we move forward in a sensible  
18 direction -- DER is a good counter-example. I mean  
19 aggregation doesn't make any sense for any resource. We  
20 have significant aggregation of demand side resources in  
21 PJM. It's caused actual operational difficulties on a  
22 fairly regular basis.

23                  If you can only -- if you need, if you need DER  
24 to dispatch in one particular area and you have to dispatch  
25 it by zone, you're typically going to dispatch the wrong

1 resources and that actually has happened.

2                 The point I'm airing also is about not  
3 dispatching if you know -- if you actually know the detail,  
4 know the arrangement of the aggregate. The question is why  
5 shouldn't you dispatch it that way. But also the question  
6 isn't whether the aggregate itself would make congestion  
7 worse, I mean let's look on the other side of it -- the  
8 brighter side of it.

9                 Hopefully these resources can actually help  
10 congestion. They can make the system work more effectively.  
11 The only way you will know that is if you know the nodal  
12 location has both the static and dynamic information about  
13 them. So I regard the resources as a potential huge  
14 improvement to potentially hugely improving to efficiency,  
15 but that will only happen if we know where they are and  
16 permit them to contribute possibly to the -- to the outcome  
17 rather than think as kind of preventing harm, thanks.

18                 MR. DESOCIO: Thanks, it's Mike DeSocio from New  
19 York ISO and I want to address the question in two -- two  
20 methods. So when we thought about the single nodal approach  
21 what we noticed is that most of the core systems remain  
22 intact. They don't change. What we're really talking about  
23 is bringing more resources through the core system.

24                 And so really the changes there are really  
25 focused on the bidding platform and the settlement platform

1 just to deal with aggregations as well as making sure that  
2 we've got the right metering configurations in the meter  
3 data that comes out.

4           When you start to go to a multi-nodal  
5 aggregation, then that scope changes dramatically for New  
6 York and we are, as Jeff mentioned one of the ISOs that are  
7 currently in the middle of replacing our energy management  
8 system in market management system.

9           But the core engines that we would be thinking  
10 about that would need to be dealt with have to do with our  
11 systems that we generally don't change or customize because  
12 we get them off the shelf -- off the shelf from our  
13 vendors.

14           The energy management system is generally --  
15 those applications are fairly standard. And so the areas  
16 that we see some needs to change would be the state  
17 estimator package and the contingency analysis package that  
18 the grid operators rely on to make sure that we're  
19 calculating the impacts that these resources have on  
20 transmission constraints.

21           The security monitor package -- these are all  
22 packages that we would normally not have to touch. Then you  
23 get into the market software, so the market software needs  
24 to deal with how to compute the impact of the multi-nodal  
25 aggregation on the transmission constraint so there's

1 changes to how the power flows compute it.

2 There are changes to the contingency analysis  
3 package there. Then you get into other aspects like  
4 interconnection requirements. So when you have multi-nodal  
5 aggregations and we have to calculate what the capacity  
6 requirement -- capacity request interconnection service is,  
7 we don't have a method to do that so that's a whole new  
8 process we would need to develop to figure out how much  
9 capacity could be sold because the capacity is coming from  
10 multiple nodes.

11 So those types of processes need to change. All  
12 in all this is a pretty big undertaking and we would refer  
13 to this in New York as a complete bid to build change with  
14 planning changes.

15 And in those types of projects and the history  
16 that I have had with the ISO, those are typically four or  
17 five year efforts.

18 MR. HERBERT: Thank you, John do you want to go?

19 MR. GOODIN: John GOODIN, California ISO. Just a  
20 quick comment about the ISO sub-lap construct -- again,  
21 that's sort of the -- you don't want the perfect to be the  
22 enemy of the good. A sub-lap is somewhat of a compromise  
23 that enables these aggregated resources starting with demand  
24 response and now extended to distributing resources to  
25 participate in aggregation.

1                   And so it's not as the other presenters have  
2 talked about -- it's not that there can't be congestion  
3 between any two nodes on the system -- just the sub-lap when  
4 you're looking back over long time that it's below -- it's a  
5 low threshold price differentiation and it's not persistent  
6 within the sub-lap.

7                   Can there be congestion within? Yes, but again  
8 it tends to be really low and not persistent. But again, it  
9 is a compromise so we have to understand it for what it is.

10                  As far as this particular question on changes to  
11 modeling dispatch software -- a key thing to really modeling  
12 your DER because it gets at a couple of the concerns is how  
13 do I know where these resources are and what they're up to,  
14 what they're doing?

15                  And that's why the distribution factor is so key.  
16 One you know where the resource is because he's modeled it  
17 at the node. And two, you know what it's doing or you hope,  
18 based on the distribution factor which is a biddable -- a  
19 biddable value. So they can tell us at any time that 60% is  
20 at that node, 30%, 10%.

21                  So you do have a pretty good idea of where the  
22 response is coming from and your market application --  
23 network application can take that into consideration. So  
24 it's not like you're flying blind with these resources so  
25 that needs to be understood.

1                    You actually have quite a bit of information down  
2 at the very granular level about how these resources, as  
3 resources at the nodes are affecting the system. But the  
4 ISO did originally kind of going back as we were modeling  
5 demand response and DER originally as generators and we knew  
6 that this was not sustainable long-term because in your  
7 network application, your full network model that's a heavy  
8 lift on the model to try and optimize and do the power flow  
9 on all these generators injecting.

10                  And we know that DR and DER can -- the number can  
11 quickly overwhelm the number of actual single large  
12 generators on your system, yet the system and the network  
13 models don't see them any differently even though they may  
14 be much smaller. So it's a heavy burden on the system.

15                  So what the ISO did was actually quite an  
16 innovative approach is that in the market applications -- so  
17 on the front end where you're bidding and scheduling these  
18 resources, clearing these resources, that is done as a  
19 generator.

20                  So you have all that same sort of front-end  
21 construct and bidding platform as any other resource so you  
22 can present the attributes of that resource, bid that  
23 resource like any other generator.

24                  What we do differently and it was a very unique  
25 and creative solution is that when we transfer that solution

1 over to the network application -- a full network model,  
2 those DER aggregations become an adjustment to load so it  
3 gets translated as an upward or downward adjustment to the  
4 load at that node.

5                   And this eliminated that need to build all these  
6 tiny little generators in your network model and placed a  
7 huge burden on your network model instead these are  
8 adjustments to load. And so if you have charge or discharge  
9 you can reflect that as an adjustment to the load at that  
10 particular node.

11                  And so this is a very creative capability that  
12 the ISO developed that I think is pretty effective.

13                  MR. HERBERT: Thanks John, Jeff go ahead.

14                  MR. BLADEN: Yeah just one quick addendum to my  
15 comments. One of the other -- one of the other things that  
16 is going to be new and unique is finding a way to integrate  
17 some kind of situational awareness around the distribution  
18 networks conditions that agree to which we have a lot of  
19 experience integrating situational awareness from spy assets  
20 that will directly translate to how we integrate  
21 situational awareness of distribution network constraints to  
22 the extent that they will become relevant.

23                  Today we simply don't worry about distribution  
24 network constraints. We presume the distribution network  
25 can consume -- conserve load to the degree to which it's

1 rate at the bulk interface and we essentially assume that  
2 will not change.

3                   We don't monitor conditions below the bulk power  
4 interface for the potential for overloads that might be  
5 caused by injections on the distribution network. And so to  
6 the extent that we're dispatching resources that are below  
7 the bulk interface, we would need some form of integrated --  
8 some form or fashion to integrate that situational  
9 environment for what's going on on the distribution system  
10 -- at least potentially.

11                  And it's something as I said early on that you  
12 know, when we dispatch resources our first goal is to do no  
13 harm so this speaks to the need for coordination that maybe  
14 unique from utility to utility or state to state. If it's  
15 not unique it may be somewhat distinct as the relativity may  
16 vary as well.

17                  MR. HERBERT: Great, thank you, Henry I think you  
18 were next.

19                  MR. YOSHIMURA: Thank you, so just a couple  
20 comments here. What Michael said about in terms of  
21 implementation of DER aggregations -- we've -- are in the  
22 middle of implementing an approach for a demand response.  
23 That's proven to be a multi-year task so the observation  
24 that it would take four years or so is accurate for in our  
25 case.

1               If -- it would be fairly straight-forward to  
2 integrate a distributed generator on a nodal basis  
3 accommodating aggregations would be a heavy lift. So, and  
4 but something that John said that is interesting which is  
5 the notion of modeling or integrating these distributed  
6 energy resources as a modification to demand as opposed to  
7 utilizing these things or modeling them as small supply  
8 resources.

9               The one thing I've been noticing is that there's  
10 a tendency in the industry to integrate resources -- what we  
11 call resources into the supply side of the market so, just  
12 thinking about the market in terms of two sides -- supply  
13 and demand side.

14               Even with demand response and other resources  
15 most of the DER's that we will see will probably be behind  
16 the meter. And being behind the meter they will be operated  
17 by customers for their own uses, probably to reduce retail  
18 costs.

19               So the question then is in my mind as an  
20 economist would be why are we integrating these resources  
21 into the supply stack of the wholesale market when their  
22 primary function is to modify demand on the system?

23               In other words, rather than taking these  
24 resources, seeing them as supply resources and then modeling  
25 them as reductions in load, why not model them as reductions

1 in the loads to begin with?

2                   What that implies is rather than trading the  
3 DER's as supply resources, they were the ones that are  
4 behind the meter that's going to be modifying demand both of  
5 the customer and maybe of -- of a larger zone is that they  
6 should be perhaps integrated into the demand side of the  
7 market.

8                   The way that's done is that whoever is serving  
9 the load of that customer or aggregation of customers --  
10 retail customers, what they would be doing is bidding in the  
11 energy market a price sensitive demand curve.

12                  I mean all of us have ways of doing that now but  
13 what we would do is encourage a lot more utilization of  
14 that, particularly if you have a DER in a particular area  
15 that's modifying the load -- that load serving entity ought  
16 to be taking that into account when scheduling or buying  
17 wholesale power from the wholesale market that the DER will  
18 modify the amount of power that's generated by the  
19 wholesale market.

20                  And in fact, the -- by integrating on the demand  
21 side the intersection of the demand and supply curves will  
22 indicate when it's most cost effective for that DER to  
23 operate in real time. It seems to me that that's a much  
24 more direct way of doing this.

25                  We could also do this approach basically having

1 much more price sensitive demand curves -- that could be  
2 done both in the energy market, it can be done in the  
3 capacity market as well. That's a -- that currently in the  
4 capacity markets load serving entities don't even take  
5 positions in the capacity market.

6 They are allocated in the capacity costs based  
7 upon some historic measure of load. We require supply  
8 resources to take capacity positions but we don't require  
9 those that buy capacity -- those that we allocate the  
10 capacity costs to to take positions in the capacity market  
11 either.

12 These are areas where I think we have to be  
13 thinking of in order to more efficiently integrate DER's  
14 into the market rather than think about them only as a  
15 supply resource -- think about them as something that  
16 modifies the demand for wholesale power.

17 And then, if we think about it that way, then we  
18 could find ways to integrate these -- the distributed  
19 resources. None of them into the supply stack, but in the  
20 demand stack. And by doing so what will happen is that the  
21 demand curve will shift and generally it will shift in the  
22 direction that lowers prices which it should.

23 So those are ideas that we should be thinking  
24 about with our stakeholders and in addition to the various  
25 proposals in terms of how to integrate these things on the

1 supply side as well.

2 MR. HERBERT: Thanks Henry, Mike do you want to  
3 go ahead?

4 MR. DESOCIO: Thank you, I wanted to amend my  
5 comments on the systems and then I also wanted to  
6 acknowledge Henry's observation about how to treat these  
7 resources in the market generally.

8 So when I thought about our impacts to systems,  
9 mostly what I was thinking about how to use a distribution  
10 factor like concept like California has proposed and has  
11 developed, but as we think about that bids only come into  
12 New York ISO once an hour.

13 And so we also understand that as we have these  
14 resources aggregating and providing potentially other  
15 services that may not be known to the ISO. There can be  
16 fatigue on these aggregations and so we would want that  
17 information also to be provided to us through communication  
18 channels like Skada so that we have the most up to date  
19 information.

20 And that's why it would affect these other  
21 programs because that Skada point would now be used to  
22 inform the state estimator to inform the security monitor  
23 and inform contingency analysis.

24 I think to Henry's point about how to treat DER's  
25 why not just put them on the load side? I know the New York

1      ISOs thought about this a lot and we started there. We  
2      thought that that was a better approach was to treat them as  
3      price responsive load.

4                But as we started to develop different use cases  
5      for what these assets look like it occurs to us that when we  
6      get DER aggregations, that the blend of resources and the  
7      blend of injection and the load reduction.

8                So you may have some load that can curtail as  
9      well as some ability to inject because you've got rooftop  
10     solar storage or whatever happens to be the technology. And  
11     so now the offers are spanning both the load side and the  
12     supply side.

13               These offers are going from positive injections  
14     to -- to withdrawals because you're going to charge your  
15     battery in the DER. And so when we thought about it, it  
16     just really meant that the supply side model made more sense  
17     for us, not to say that you couldn't do it another way but  
18     certainly as you start to get to these dynamics where you  
19     have got lots of resources that are providing different  
20     types of interaction from the grid and you're blending them  
21     into one aggregated offer that goes from positive 10  
22     megawatts to minus 5 megawatts. It's more difficult to just  
23     treat them all as load side.

24               MR. HERBERT: Thanks, Joe?

25               MR. GOODIN: I want to second what Michael said

1 and follow-up on what Henry said. I think for distributed  
2 energy resources that it's not like demand response to where  
3 these resources can actually export energy and look and feel  
4 and act much more like a supply resource actually injecting  
5 energy into the grid versus just reducing slowing down,  
6 curtailing consumption which is the demand response.

7 So I agree with Henry that I think a majority of  
8 demand response is probably better suited as a price  
9 sensitive or modifying type of resource on the demand side,  
10 but I don't feel similarly for DER particularly if it's  
11 going to be exporting.

12 Now there's a lot of DER that is actually let's  
13 just say it's storage -- a lot of this is storage, that is  
14 actually locating behind the meter. And the reason they're  
15 doing that is because the demand and response model is much  
16 more favorable, worked out, some of those issues that I  
17 addressed with Commissioner LeFleur, the interconnection and  
18 how it accounts for resource adequacy -- all of that's  
19 worked out on demand response.

20 Less so on the DER side and why those are still  
21 significant barriers that still remain. But again, I think  
22 that the DER yes, that can be better suited on the price  
23 sensitive side less so the DER.

24 MR. HERBERT: Thanks John. I have one follow-up  
25 question. You've talked about the, the distribution factors

1       that you guys use in California and in response to the --  
2       the NOPR we heard some concerns with respect to multi-node  
3       aggregation sort of disrupting nodal pricing and sort of  
4       appropriate price formation in the RTO markets.

5               Is your -- I guess to what extent do the  
6       distribution factors that you guys use in California sort of  
7       alleviate those concerns and can you talk a little bit about  
8       how the offers that you would get from a DER aggregation  
9       could be used to insure appropriate nodal pricing?

10          MR. GOODIN: I wish I could actually respond to  
11       that affirmatively. And the reason why is that we  
12       established the DER aggregation model back in 2016. We have  
13       five contracts signed under our distributing energy resource  
14       provider agreement and yet we have no participation.

15          So again, the reason ties directly back to those  
16       three points and others that I made earlier that the  
17       participation has driven to the DER side because a lot of  
18       those issues that again are at an ISO component but are  
19       largely sort of issues that extend outside the walls of the  
20       ISO.

21          Again, there's interconnection issues, resource  
22       adequacy issues, multi-use application issues and that's --  
23       those are some of the challenges. As far as the  
24       distribution factors, the distribution factors issue is not  
25       new to the ISO. It's again, it's what kind of built the DER

1 aggregation model on the demand response model.

2 Our demand response model allows for aggregations  
3 in the sub-laps that I've described and again they also are  
4 required to submit distribution factors. Can those  
5 distribution factors impact price formation -- absolutely.

6 And that was one of the concerns we have and that  
7 we've had and have is that we want to ensure that these  
8 distribution factors are actually accurate because they do  
9 impact price formation. Again, we've done it for demand  
10 response, but for the DER that's one of the reasons why  
11 we've limited as a first step to the aggregation being no  
12 larger than 20 megawatts and why we committed and FERC  
13 ordered the ISO to provide status reports, because that is  
14 one of the issues is how accurate are the market  
15 participants following those distribution factors that they  
16 can bid dynamically.

17 They can put it in their bid. If they don't it  
18 falls back to a value we have in the master file but again  
19 the idea is that you are providing that as part of your bid  
20 so you're giving us the distribution and the impacts at each  
21 of the nodes.

22 But, again, I think it's a general concern. It's  
23 a very simplifying sort of application to make these  
24 aggregations work and so that the network application and  
25 the market applications can actually manage these resources

1 and their impacts on the system, it really gets down to that  
2 point of -- how accurate are those distribution factors?

3 And so I think over time, you know, that's  
4 something that we need to really understand.

5 MR. HERBERT: Thank you, Joe I thought you might  
6 have some thoughts on this. Can I maybe tweak the question  
7 a little bit? I guess -- so if you have, if you have a  
8 multi-node aggregation and you know sort of the price and  
9 the quantity that you're getting at each of the nodes in  
10 that aggregation, is it -- do those concerns about nodal  
11 pricing still exist and if they do why do they?

12 MR. BOWLING: Yeah, I mean if you're getting them  
13 accurately then no, but then you have nodal. So I mean  
14 that's the point. The distribution factor's that are being  
15 used in here are really just allocation fractions that you  
16 are relying on the DER provider to give them to you instead  
17 of getting them yourself.

18 Why not just go do it right and get them  
19 yourself, know what the units are, know what the actual  
20 dynamic facts are. Of course they're going to be  
21 inaccurate. I mean imagine you have solar as part of DER,  
22 what happens if a cloud goes over -- of course it's going to  
23 change.

24 And those kinds of things are real world dynamic  
25 changes in what DER does, so having somebody bid a bid

1 distribution factors in that sense -- I mean first of all it  
2 creates all kinds of interesting market issues and market  
3 power issues.

4 But apart from that, just in terms of accuracy,  
5 it's not going to be accurate just because of the nature of  
6 the resources and why not just take the logical step and be  
7 nodal because that's an approximation nodal.

8 If people have information about the nodal  
9 resources and the location why not do it right?

10 MR. HERBERT: Andrew, go ahead.

11 MR. LEVITT: Yes so PJM's answer to that question  
12 is the distribution factors that are used for weighting then  
13 the individual components, if those are right, then your  
14 price formation comes out just fine.

15 If they're wrong then you've got the wrong price.  
16 That's also true in general they had offers where the  
17 quantity is wrong for one resource than, you know, it's --  
18 you're getting something unpredictable happening in that  
19 case.

20 But I will say also that this is one of the  
21 reasons when the benefits are having a size cap as well as  
22 you're putting a lid on that potential fuzziness, the  
23 distribution factors used for weighting are often wrong. So  
24 one megawatt size cap is quite small just to put that in  
25 perspective to a typical volt electric system power line is

1 carrying on the order of 1,000 or multiple thousands of  
2 megawatts.

3 Our telemetry metering requirement is 5% accuracy  
4 so if I'm doing the math right that's 50 megawatts of  
5 accuracy on a typical line of the power that we're flowing,  
6 one megawatt is a small fraction of that.

7 And then our settlement metering on our tie lines  
8 in between zones which are used for settlement purposes as  
9 well is 1% accurate so that's now a 10 megawatt accuracy.  
10 Again, one megawatt is one-tenth of that.

11 Typical generators -- we also have a 1% metering  
12 accuracy. A 500 megawatt generator, 1,000 megawatt  
13 generator -- just the error in the metering alone is larger  
14 than the size threshold on the aggregated supply of  
15 significant fractions.

16 MR. HERBERT: Thank you. John, can you make a  
17 quick, quick one and then we'll move one to one more  
18 question.

19 MR. GOODINE: Yeah, I just wanted to respond to  
20 what Joseph's comment that price formation is not just the  
21 supply side, it's the demand side as well and we want this  
22 precision which I agree is important on the supply side.

23 But we have to acknowledge that the load side  
24 also has load distribution factors and is probably far from  
25 perfectly accurate. On the load side and yet it's informing

1 the prices at those nodes so again we want precision as much  
2 as feasibly possible but we have to understand the load is  
3 also a contributor and it's distributed. We don't schedule  
4 nodally.

5 MR. HERBERT: Great, thank you. So we have I  
6 think time for one more question. We'll touch on the  
7 settlement issues real quick. So we said if the Commission  
8 requires RTOs and ISOs to allow multi-node DER aggregations  
9 to participate in their markets, how should a DER  
10 aggregation located across multiple pricing nodes be settled  
11 for the services that it provides?

12 One approach and I think the approach that you  
13 guys use in California, John, is settling the multi-node DER  
14 aggregation at the weighted average OMP across the nodes  
15 which it's located. So what are the advantages and  
16 disadvantages of this approach and are there other  
17 approaches that could be considered for settlement?  
18 Andrew, do you want to go ahead?

19 MR. LEVITT: Yeah, so the question is what  
20 weighting do you use? So if the weighting used is the  
21 actual response measured in, you know, after the fact if  
22 it's a revenue meter than PJM support that. That would  
23 align with PJM's proposal.

24 If it's settled as offered then you, you have  
25 some potential problems there were they would offer it in a

1 way that's advantageous if they think pricing will be higher  
2 on one side of the aggregate than the other, they do not in  
3 fact perform to that and they get settled wrong, that would  
4 be bad.

5 MR. HERBERT: Thank you, we're going to let  
6 Commissioner Glick interject with a question here real  
7 quick.

8 COMMISSIONER GLICK: A lot of time I'll just try  
9 to be quick. Earlier on Mr. Yoshimura had indicated that at  
10 least with regard to New England, it wasn't quite clear that  
11 aggregation will provide any benefits not even if people  
12 were offered the opportunity to aggregate that there may not  
13 be a lot of takers with regard to that opportunity.

14 I'm just curious for the rest of the panel if you  
15 think for your different regions if you think there are  
16 benefits to aggregation and if you think there is it would  
17 be a lot of interest in aggregation.

18 I know that California is just initially  
19 experiencing it but it is curious and if you think what type  
20 of interest there is and why type of benefits there might be  
21 associated with the ability to aggregate for DERs?

22 MR. HERBERT: Go ahead John.

23 MR. GOODIN: John Goodin, California ISO. We  
24 believe in the California ISO that there are actually  
25 significant benefits to aggregation. We've been doing it on

1 the demand response side. We don't have a single node. You  
2 can have an aggregation across the sub-lap, across multiple  
3 nodes.

4 And why is it advantageous -- a couple of  
5 reasons. One, it allows for the providers to actually go  
6 out and solicit and pull together aggregate meaningful size  
7 customers, meaningful as far as from the ISO perspective.  
8 We're not trying to manage all these individual, you know,  
9 kilowatt-type of resources that they actually have the  
10 ability to bring together sort of resources that make  
11 minimum sizes that can be optimized by the ISO.

12 And I think that's the key thing is that  
13 aggregations allow for the right sized resource because as  
14 we know when you're trying to solve your market and optimize  
15 all these little resources you have to sort of have minimum  
16 size resources to meet -- we have called a mixed energy  
17 programming where you're trying to derive a solution and if  
18 you have such small resources that they may be economic on  
19 paper but the optimization just can't even see them because  
20 of the value that that small resource even at the price cap  
21 has on the market.

22 And so you have to have sort of a minimum size,  
23 again, to make these meaningful to the ISO in its market  
24 systems and allow the market systems to actually operate  
25 these resources and recognize these resources. So I think

1 it has significant benefits.

2 MR. HERBERT: Thank John, Jeff?

3 MR. BLADEN: I think it's -- I think it's a  
4 wonderful question because ultimately the benefits of  
5 aggregation are not obvious and I made reference at the  
6 outset to the Technical Conference on Demand Response in  
7 2006 and we talked a lot about aggregation back then.

8 And as John pointed out, the reason we built  
9 aggregation mechanisms, it was a short cut -- there was no  
10 magic or clamoring among market fits to aggregate their  
11 assets and offer them in on bulk.

12 It was a shortcut because their systems simply  
13 weren't built to do what John was describing where you would  
14 have thousands or potentially hundreds of thousands of  
15 individual small assets coming in.

16 I think what the time calls for now as we think  
17 the world is going to change meaningfully is for us to  
18 explore what technology might be capable of and not assume  
19 that the existing paradigm needs to be -- needs to persist  
20 in terms of how we think about modeling assets, how we think  
21 about integrating them into our technology platforms.

22 MISO's in the midst of a major technology  
23 rebuilt. We're asking ourselves exactly these questions.  
24 How can we think about this challenge, this opportunity  
25 differently? I think the notion that aggregation is an

1      intrinsic good isn't necessarily true, it is a shortcut.

2               It is something that RTOs needed to do because  
3      the systems that were designed in the '90's were never built  
4      to handle the volume that would otherwise be required.

5               MR. HERBERT: Joe?

6               MR. BOWRING: Yeah again just very briefly, I  
7      agree with what Jeff said. I don't think there's any  
8      inherent benefit to aggregation. I'm not speaking on behalf  
9      of participants. Maybe they disagree -- they probably do at  
10     times, but with me in general but not on this topic in  
11     particular. So, but and let's just take the California  
12     points.

13               So in order to have it be meaningful you have to  
14     aggregate across multiple nodes to the point where you're no  
15     longer accurately representing the input of generation to  
16     the system, does that really make sense?

17               It's not a benefit to the system, even if it's a  
18     short-term business benefit to an aggregate which it may or  
19     may not be. But again we've heard that it does not seem to  
20     have been a positive response to aggregation opportunities.

21               But just from the perspective of the market  
22     aggregation is not -- I don't see either why it's desired or  
23     it's not and it's certainly not beneficial.

24               MR. HERBERT: Mike?

25               MR. DESOCIO: Thank you, Mike DeSocio, New York

1 ISO. Just really briefly, I agree with the way Jeff  
2 characterized it. Aggregations are important to us and New  
3 York believes that aggregations are the way they integrate  
4 these smaller resources.

5 Mainly just because the systems we have can't  
6 manage and optimize thousands of different resources and so  
7 this is a way to let these resources participate in the  
8 wholesale market, get energy value, get operating reserve  
9 value, get regulation service value but still allow the  
10 computational timeframes to be achievable.

11 We have mandates to make sure we clear a day in  
12 market in a certain timeframe, it's important to make sure  
13 the market stays liquid and so those constraints are really  
14 what drives us to the aggregation model.

15 MR. HERBERT: Andrew, some last thoughts?

16 MR. LEVITT: Aggregation means different things  
17 to different people. If it just means market access then it  
18 is fundamentally valuable on first principles to PJM. It's  
19 very important that one kilowatt, even 100 watt resources  
20 have market access.

21 If aggregation means much, much more narrowly  
22 taking multiple resources at different places and pretending  
23 that they're one resource, that actually is not fantastic,  
24 it is a shortcut and I agree with all the comments that my  
25 fellow panelists had about that.

1                   The question is how are you going to balance the  
2 trade-offs of having a whole lot of line items in your  
3 system versus the importance of having an open market. I  
4 will say demand response we have aggregation in that narrow  
5 sense of allowing multiple resources to come together into  
6 one and it is actually quite unusual.

7                   85% of the demand response of PJM is not  
8 aggregated in this way so we do not expect that DER will be  
9 aggregated -- wholesale DER in PJM will be aggregated in  
10 this way unless residential DER becomes the predominant form  
11 of DER overtaking commercial and DER and industrial DER.

12                  MR. HERBERT: Alright thanks so much guys. I  
13 think this has been a highly informative discussion and  
14 Dave's got a couple pre-lunch logistics to announce.

15                  MR. KATHAN: Just basically saying that, you know,  
16 we're going to be recessing until 1:30 and at 1:30 we'll be  
17 having a Commissioner led panel and there will be discussion  
18 with the state and local so please join us back at 1:30 and  
19 then we'll have one more panel after that and close later  
20 this afternoon.

21                  (Lunch 12:04 p.m. - 1:32 p.m.)

22

23

24

25

1                   CHAIRMAN MCINTYRE: Well good afternoon everyone.  
2     This is a remarkable sight. It's a gorgeous spring day in  
3     Washington at long last the cherry blossoms are in full  
4     bloom. It would be a perfect day to be out strolling about  
5     with a dreamlike countenance. And yet look, we have a jam  
6     packed room for people here to talk about the stupid energy  
7     resources.

8                   I don't know whether I should be impressed or  
9     depressed but I'm grateful to all of you for being here. We  
10    have an overflow crowd and so I should note that we do in  
11    fact have an overflow room. So if any of you would be more  
12    comfortable relocating to -- I believe it's just one room  
13    that way. I'm getting nods so that sounds right and of  
14    course we're streaming this live with audio and videos.

15                  So feel free to avail yourself of that option if  
16    that is of interest. I need to begin by thanking the  
17    wonderful FERC staff for all of the work that went into this  
18    Conference. It's already well underway since this morning  
19    as you know.

20                  It is no small feat to put -- to put together  
21    something like this with over 50 panelists on a wide range  
22    of complex and distinct related topics on a matter that is  
23    very technical and complex as you all know. So I just want  
24    to express my own personal appreciation to the team that put  
25    this together.

1                   And as to this esteemed panel before me -- I must  
2 thank you, in particular, for coming here and being with us  
3 here today and sharing your wisdom, your expertise and your  
4 advice on what we should do with this complex basket of  
5 issues that we're trying to sort out with your good help and  
6 the help of others in the industry. So thank you for being  
7 here.

8                   I know a number of you have traveled great  
9 distances to be here so we're grateful in particular for  
10 those who have endured that inconvenience to be here with  
11 us. We're very fortunate to have your prospectus.

12                  We now find ourselves at a very interesting point  
13 in time in the evolution of our bulk power system. It's a  
14 time of rapid innovation and of technological development  
15 that's been under way for quite some time as you know, but  
16 the base is not slowing. Indeed I would say the opposite is  
17 the case and it is already altering how electricity is  
18 generated and how it makes its way to our grid.

19                  And facilitated largely by that technological  
20 change and by consumer demand, distributed energy resources  
21 -- DER's as we call them have become an increasingly  
22 significant part of the power system in ways that affect  
23 both retail and wholesale markets.

24                  And across the nation now there already are  
25 millions of customers -- residential, commercial and

1 industry that have adopted DER's of one type of another.  
2 These resources clearly, are having an increasing role in  
3 our energy marketplace.

4                 But integrating those resources and the energy  
5 they generate into our grid is not without significant  
6 operational challenges. As states and consumers choose to  
7 deploy DER's we need to do our utmost to ensure that we  
8 maintain the reliability and the resilience of our bulk  
9 power system.

10               We also need to fulfill our statutory obligation  
11 here at the Commission to ensure that our rates associated  
12 with wholesale transactions that are within our jurisdiction  
13 are just and reasonable -- a familiar statutory standard.

14               And that applies of course to all the resources  
15 that make their way to the grid including those that are  
16 related to generation and by DER's.

17               So both of these sets of challenges operational  
18 and rate-making/regulatory -- this has stayed very close  
19 coordination between our federal regulators here and our  
20 state regulators and in the other stakeholders, including  
21 private sector stakeholders.

22               And that bring us to this panel. My personal  
23 goal and hope for this panel is to better understand from an  
24 operational perspective how we ensure that the  
25 multi-directional power flows that are created by DER's

1 produce efficient outcomes at both the transmission and  
2 distribution levels.

3                   And recognizing that those operational challenges  
4 come with costs, that ultimately must be borne by consumers  
5 under the respective jurisdictions at issue -- I would like  
6 to hear your thoughts, candid thoughts please, on how we  
7 should approach valuing DER's.

8                   As a general matter I hope that you will help us  
9 to build as robust an evidentiary record here as we can  
10 assemble that will help us to inform our decision-making in  
11 this proceeding, help us figure out what to do. That would  
12 be the greatest service you can perform to us here today.

13                  And with that I'd like to offer an opportunity  
14 for any of my colleagues to begin with some remarks,  
15 Commissioner LeFleur?

16                  COMMISSIONER LEFLEUR: Thank you very much Mr.  
17 Chairman. I'd also like to welcome all of the participants  
18 in this Tech Conference and the folks who are giving up the  
19 cherry blossoms to attend, as particularly, the state  
20 policy-makers that we're looking at right now -- whether you  
21 came from down the street like Willy or across the country  
22 like Michael, you are very welcome.

23                  I was fortunate to sit in on the first panel this  
24 morning of the RTO representatives and it certainly outlined  
25 in case I had forgotten that these are very complicated

1 issues figuring out both the payment and the coordination of  
2 distributed resources that feeds supply into the system.

3                 However, I think it's well worth the effort to be  
4 looking at it both because of the pace of technological  
5 change that Chairman McIntyre referred to and the value  
6 proposition for customers here.

7                 When we voted out our final rule on storage and  
8 set up this Tech Conference in February, I said I believe  
9 there were two broad sets of issues we need to consider.  
10 The first is the money questions. Who pays what to whom for  
11 these resources? How does the money flow and how do you do  
12 the metering and billing to figure it out?

13                 The second are the operating questions.

14 Distribution systems are very dynamic -- we need to figure  
15 out how the distribution control center that's controlling  
16 all these feeders and has visibility down to the customer,  
17 or at least down to the feeder level, corresponds and  
18 communicates in real time and ahead of time with the market  
19 or the transmission control center that's looking at the  
20 larger region.

21                 As with most things we do at FERC almost  
22 everything, these questions do not just relate to things we  
23 decide but to things that are decided at the 50 state  
24 capitals. Rumor has it that the transmission wires and  
25 wholesale markets we regulate are actually connected to the

1 distribution wires and markets that you are responsible for.

2 So I'm -- I'm very much looking forward to your  
3 thoughts on both of these issues and I'll have some  
4 questions when we come along, so thank you very much.

5 CHAIRMAN MCINTYRE: Commissioner thank you,  
6 Commissioner Chatterjee?

7 COMMISSIONER CHATTERJEE: Thank you Mr. Chairman,  
8 thank you to our distinguished group of panelists who are  
9 here today. I also want to comment the FERC staff for all  
10 the work that has gone into this. I'm very much looking  
11 forward to hearing your remarks and talking through some of  
12 these complex challenges.

13 This is a particular gratifying day for me as  
14 I've mentioned previously, in going through the Senate  
15 Confirmation Process, Senator Markey and Senator Whitehouse  
16 were adamant that I make both storage and DER a priority  
17 should I have been confirmed and come to the Commission.

18 And in the limited time that I served as Chairman  
19 I did emphasize my desire to see progress on these -- on  
20 these rules. When I came to learn -- when I came to the  
21 Commission and in working with our fantastic staff here is  
22 that one -- things were not as far along as I had thought  
23 prior to my coming into the building.

24 And two -- there were some complexities in the  
25 storage piece was a little bit further ahead and perhaps

1 tactically it was important to sever the two to move forward  
2 on storage.

3                  Then Senate staffer Rich Glick and now  
4 Commissioner Glick was concerned about that -- that severing  
5 and was adamant that this piece not get left behind and in  
6 myriad conversations I had committed to him that I would do  
7 my part to make sure that we move forward and I think this  
8 Technical Conference and this panel today is a significant  
9 step in that direction.

10                And I'm very grateful to you Mr. Chairman for the  
11 staff and for our guests in making that happen and I look  
12 forward to the dialogue today, thank you.

13                CHAIRMAN MCINTYRE: Thank you Commissioner,  
14 Commissioner Powelson?

15                COMMISSIONER POWELSON: Thank you Chairman. Let  
16 me first start off by looking over to Commissioner  
17 Chatterjee and congratulate him on wearing his PJM tie here.  
18 It's the truly integrated grid tie. It's got cooling  
19 towers, transmission wires and I think there's some battery  
20 storage in there as well.

21                I gave you that tie. I was going to get you a  
22 Villanova tie but I doubt I would get that far. Well first  
23 let me also --

24                COMMISSIONER LEFLEUR: Who had 143 for the first  
25 reference to Villanova?

1                   COMMISSIONER POWELSON: I didn't say anything  
2 about the Eagles okay. Let me start off here also by  
3 thanking our staff, the Office of Policy and Innovation as  
4 well as OEMR, OEA and the Office of General Counsel for  
5 helping coordinate today's Tech Conference.

6                   I'm looking out in the audience and feel like I'm  
7 in a NARUC convention here but I think it's important that  
8 we hear from NARUC stakeholders and many others that are  
9 part of today's panel. You know today here in the U.S. we  
10 are facing strong international competition in the  
11 development of advanced energy technologies that are clearly  
12 cleaner, cheaper and more versatile than the current system  
13 commercially available technologies.

14                  And I think it's critically important for us as a  
15 collective body here, to hear from our state partners and  
16 learn from some of the energy innovation that's taking place  
17 across the 50 state compact.

18                  Now I would be remiss in not recognizing NARUC  
19 for the work that they've already done. I do not encourage  
20 anybody to read this on a Saturday night but this is a very  
21 well written document with a lot of work that was done by a  
22 number of state Commissions, state Commission staff,  
23 Jennifer Murphy is here from NARUC but this is the  
24 distributed energy resource rate design and compensation  
25 manual that was put together under former President Travis

1 Kavulla.

2                 And I think the DER compensation manual, excuse  
3 me, is a great segue into today's conversation as we  
4 recognize that advanced technologies whether it's battery  
5 storage or other demand side resources, support the  
6 operations as Commissioner LeFleur mentioned, support the  
7 operations of this integrated grid which is as I like to  
8 remind my 14 year old, excuse me, my 15 year old, my 12 year  
9 old -- the way we generate, transmit and distribute power  
10 is different than it was 10 years ago when you were born.

11                 And I think we're seeing that in our individual  
12 jurisdictions and I think it's a testimony to your  
13 leadership back in your individual states and the District  
14 that we reside in here -- the work that these technologies  
15 are playing in our grid.

16                 And your participation is again, a demonstration  
17 of your commitment to energy innovation and it benefits the  
18 grid and the benefits the grid provides your consumers back  
19 in your individual states. So I look forward to our  
20 conversation here this afternoon Mr. Chairman.

21                 CHAIRMAN MCINTYRE: Thank you very much.

22                 Commissioner Glick?

23                 COMMISSIONER GLICK: Thank you Mr. Chairman and  
24 thank you very much for scheduling this Technical Conference  
25 and thank you very much to the staff. This is a very

1 complex set of issues and they put together 7 or 8 very good  
2 panels. I also attended the first panel this morning and  
3 found it extremely helpful and educational so thank you  
4 again.

5 It's already been mentioned several times at the  
6 Commission. In February I issued a storage rulemaking and  
7 now we're here considering the second part of the proposed  
8 rule to see how and if we go forward with it.

9 But I personally believe the Federal Power Act  
10 requires that similarly to what we did in storage and we  
11 eliminate the barriers to the participation of distributed  
12 energy resources and wholesale markets and aggregation  
13 certainly is a process for doing so.

14 As the Chairman mentioned earlier DERs are  
15 growing at a very rapid rate. Distributed solar accounted  
16 for 12% of all new generating capacity in 2016. In  
17 California alone as President Pickering knows very well is  
18 expected to have 12,000 megawatts of DER generating capacity  
19 by 2020 -- so just a few short years from now.

20 Facilitating aggregated DER participation in the  
21 wholesale markets can improve great resilience and  
22 reliability and reduce energy costs. I look forward to the  
23 discussion of this panel to hear how state and local  
24 regulators are addressing DER growth and how they view DER  
25 aggregation.

1                   I'm especially interested in hearing about the on  
2 the ground experiment experience in implementing DER  
3 aggregation programs and I hope that we can relatively  
4 quickly after this Technical Conference has concluded and  
5 post-Conference comments are submitted, move forward with a  
6 role designed to eliminate the barriers to aggregated DER  
7 market participation.

8                   Thank you again Mr. Chairman.

9                   CHAIRMAN MCINTYRE: Thank you Commissioner. And  
10 with that let us know turn to our panel discussion. Our  
11 formal would be perhaps, somewhat unusual in that we will  
12 refrain from the frequent practice of having successive  
13 separate speeches in effect.

14                  And instead we would like in the shortness of  
15 time to go directly to Q and A and I know we all have a  
16 number of questions for you and so my suggestion is that we  
17 just -- we here of the dice -- we take turns posing  
18 questions to the panel overall. Please just speak up if you  
19 feel that it's appropriate for you to address the question  
20 that's been lobbed out.

21                  But I do want this to be interactive. I think we  
22 all do, we want it to be a conversation, not just a series  
23 of back and forth monologues. So please feel free to  
24 interrupt early and often and contribute to the dialogue if  
25 I may suggest it.

1                   I'll go ahead and get us kicked off with a  
2 question of my own. My principal concern is that as we  
3 bring these DER resources onto the grid, we avoid messing  
4 anything up is my impressive technological terminology for  
5 you. Let's not mess things up.

6                   So let me pose the question this way and kick off  
7 our discussion. From an operational standpoint, what are  
8 the potential negative impacts that DER participation in the  
9 wholesale market could have on distribution systems in your  
10 states? And please distinguish if you can, between the  
11 impact of individual DERs and the impact of aggregated DERs,  
12 which was the focus on the NOPR, the floor is open, Mr.  
13 Norton?

14                  MR. NORTON: Chris Norton from the American  
15 Municipal Power. I'd like to start it off by saying you  
16 know, I represent a group of municipals -- we have 134  
17 municipals and one joint action agency. And many of those  
18 -- most of those municipals are not subject to the state  
19 jurisdictions so those city councils are the regulator.

20                  And so the operational concern there is that  
21 there has to be coordination. They have to know what is  
22 going on. Their utilities have to know what DER is being  
23 registered and they have to have the time to be able to look  
24 at it and make sure that you know, you're not jeopardizing  
25 facilities, they need to have operational agreements in

1 place so that when they need to do maintenance to  
2 facilities, that they can tell either the DER so it can make  
3 itself unavailable to the market operator that way you do  
4 not electrocute anybody.

5 So there are a whole host of issues and it all  
6 has to happen through coordination. And it's not that it  
7 can't happen, there just needs to be a good tight  
8 coordination between the market operator and those  
9 individual municipalities and the state utilities.

10 CHAIRMAN MCINTYRE: And you see that degree of  
11 effective cooperation as being feasible and attainable?

12 MR. NORTON: I would say yes. I mean we've been  
13 through trying to do it real quick. We went through a  
14 process -- a little bit bigger units -- they would still  
15 kind of be DER, at a landfill gas site in PJM. The  
16 municipality it was connecting behind the meter, went  
17 through the PJM interconnection process. PJM coordinated  
18 not only with the municipality but the investor-owned  
19 utility that the municipality interconnected to.

20 Went through the study process, set up the  
21 operational agreements and that site's been active now for I  
22 believe it's three or four years and it was all, you know,  
23 and that was all filed at the Commission through what PJM  
24 calls a wholesale market participant agreement.

25 CHAIRMAN MCINTYRE: Yes.

1                   MR. NORTON: So that there might be some changes  
2 to the much smaller, much more distributed sites than that  
3 because that was off-sided -- a landfill, whereas you could  
4 have something all over a town.

5                   And then you also have the issue of if you go  
6 aggregate you might have stuff that is in a municipal,  
7 combined with things outside of a municipal and so then you  
8 have to get down and drill down to that one asset that may  
9 be either on the distribution system of the investor-owned  
10 utility or the municipal and see which one is going to cause  
11 a problem and make sure that you take that into  
12 consideration when you're dispatching those resources.

13                  CHAIRMAN MCINTYRE: Commissioner Phillips?

14                  COMMISSIONER PHILLIPS: Thank you Mr. Chairman.  
15 Of course my name is Willie Phillips, I'm a Commissioner in  
16 D.C. and I appreciate all the love for the District of  
17 Columbia in this room. We often times get overlooked and I  
18 want to say of all of the constituents that we have the FERC  
19 is my favorite.

20                  You can clap. So I will just tell you a little  
21 bit about the District just really quickly. We are a fully  
22 restructured jurisdiction. We have a very aggressive,  
23 renewable portfolio standard -- 20% renewables by 2020 and  
24 actually since 1999 our local distribution company has fully  
25 divested all of its power plants and generation in the

1      District so we're generally supportive of the NOPR's goal  
2      and we think that the District can probably benefit from  
3      this. We're uniquely situated to benefit.

4                To answer the question that you put Chairman,  
5      about impacts, I think that it's really a resource by  
6      resource analysis. And to give you an example of how I view  
7      it, when you think about demand response in the District of  
8      Columbia. We have a direct load control program.

9                That program, I don't believe, has any negative  
10     impact on our reliability. In fact we use it as a tool to  
11     actually shave peak in the case of some type of emergency so  
12     I think it can improve the reliability.

13               Similarly we look at renewables like solar. I  
14     think that it's a case by case analysis, it has to happen on  
15     the utility level but we have our small generator  
16     interconnection rules which I think can go a long way into  
17     addressing the reliability concerns.

18               So that's just a little bit of the flavor of what  
19     I think about when I think about the impacts of DER.

20               CHAIRMAN MCINTYRE: Thank you, President Picker?

21               PRESIDENT PICKER: Let me just first address your  
22     concern about not messing things up. I'm not sure that  
23     wholesale aggregation is likely -- at least in California's  
24     case going to lead to messing up, it's already messed up  
25     plenty.

1                   So go ahead --

2                   CHAIRMAN MCINTYRE: It's not the same applause  
3       line.

4                   PRESIDENT PICKER: You got a good one.

5       So there are operational issues and so I worry far more  
6       about congestion in the distribution system as a result of  
7       the growth of DERs in California. Simply because we have  
8       thin grid system that was never designed for a lot of  
9       two-way flows.

10                  Two is that nobody really told the fire  
11       departments that when they went on the roof of a building  
12       with a lot of solar array that that didn't turn off when the  
13       building was on fire. So you start to dig into some of the  
14       safety issues.

15                  And we actually worked through some of those but  
16       it took us four or five rounds of workshops with the solar  
17       installers, four or five rounds with sitting down with the  
18       firefighters because they all spoke different language  
19       talking to the building departments and local governments  
20       and talking to the utilities who really did understand what  
21       it meant to have it.

22                  We started to get smarter as we saw some of these  
23       things starting to build so one of the things that they --  
24       that happened was that we actually started to do some  
25       distribution system planning. And what do you do when you

1 have this thin grid and you see 5 gigawatts are behind the  
2 meter's solar?

3                   And you start to map the system in the same way  
4 that the ISOs have really mapped the transmission system to  
5 really figure out where you have hosting capacities. It's  
6 not so much just to protect but it's acknowledging that  
7 these are trends that are going to happen. That we're going  
8 to have a lot of distributed energy resources.

9                   It works in a lot of different ways. I remember  
10 when I was on the public power side, I was at a meeting and  
11 an engineer came in. He seemed kind of disturbed. You  
12 know, we asked him what was going on and he said we have our  
13 first two-tests for a garage.

14                  And so this was a lot of demand for two level  
15 three chargers at the end of a thin radial line. Well then  
16 came home, plugged in, everybody else in the neighborhood  
17 kind of got grayed out in their 55 inch LCD TV's just didn't  
18 work very well.

19                  So you begin to see these things as you apply it.  
20 As we move into the era where we see the potential for  
21 aggregating and we actually have some, some efforts in that  
22 direction. The aggregators in California are the incumbent  
23 utilities so far.

24                  The other potential aggregators actually have  
25 been working mostly with customers to actually help them

1 arbitrage their electric needs primarily and especially  
2 where there's a demand charge.

3 So there hasn't been a rush yet to go to that  
4 market. We're starting to see it and I think my colleague,  
5 Simon Baker, may talk tomorrow about our multiple-use tariff  
6 program which is designed to figure out when people sell  
7 into these different markets, we're actually reserving some  
8 of these resources for their own needs and start to look to  
9 sell it to the utility or eventually may sell it to other  
10 peer customers or may sell it to the ISO.

11 So all bets are off when technology allows people  
12 to do these things. Safety, congestion within the  
13 distribution system, the challenge of actually understanding  
14 the distribution system in the same way that we actually  
15 have mapped and have built intelligence into the bulk  
16 transmission system all become important at some scale,  
17 thank you, Chairman Thomas?

18 CHAIRMAN THOMAS: Thank you sir, thank you  
19 Commissioners and Chair for putting this on as well as FERC  
20 staff for the preparation. I'm Ted Thomas representing the  
21 Arkansas Commission as well as the organization of MISO  
22 states of which I'm President this year.

23 The distribution operations have to be managed by  
24 some entity in a different way than we've had to do in the  
25 past. The safety concerns that have been mentioned require

1 communication with outside folks and those systems don't yet  
2 exist in the MISO footprint.

3 And for both safety, for curtailment -- somebody  
4 needs to have the authority when there's a system problem to  
5 turn things off. The systems to do that don't yet exist.

6 There's also communication --

7 CHAIRMAN MCINTYRE: Excuse me, may I ask when you  
8 refer to safety are you referring to the same issues that  
9 President Picker did or different?

10 CHAIRMAN THOMAS: And Mr. Norton.

11 CHAIRMAN MCINTYRE: Okay very good.

12 CHAIRMAN THOMAS: But it is different. It's not  
13 internal to the utility. You have to establish a protocol.  
14 But beyond that there's a technological system you need to  
15 operate. The inverters for the RTO to see -- there's  
16 communication that has to happen either from the inverter  
17 directly to the RTO or to the inverter to the utility --  
18 somebody has to operate that system.

19 And it has to go from this system to the RTO and  
20 we heard in Panel 1, you know, they're building that system.  
21 It doesn't necessarily yet exist, and so we have two systems  
22 that we're building that don't yet exist. And we're  
23 starting a bridge from both ends.

24 And it's important obviously to meet in the  
25 middle. The communications thing is very challenging too.

1 There's a new smart inverter protocol, I EEE 1547. There  
2 are some state decisions that have to be made on that.  
3 We're at the front end of that to and that's integral to  
4 this system of being able to see to provide the visibility  
5 both to the person that operates the distribution system  
6 and then at the RTO level too.

7 So there's all these things that have to happen  
8 around building a system to manage it that are only  
9 beginning to be thought about.

10 CHAIRMAN MCINTYRE: Very good, thank you, Miss  
11 Mitchell? And let me say to my colleagues, do not let me  
12 monopolize the microphone, please jump in as you may deem  
13 appropriate.

14 MS. MITCHELL: Good afternoon Chairman and  
15 Commissioners, thank you for the opportunity today to  
16 participate in this Technical Conference. First I just want  
17 to talk about the positive operational benefits. I think we  
18 all mostly agree on those.

19 In New York State we certainly recognize those  
20 positive operational benefits of distributed resources as  
21 New York has identified in its reforming the energy vision  
22 initiative.

23 We feel DER are key to achieving the state's  
24 clean energy goals as well as achieving system efficiency  
25 and providing resiliency benefits. DER can also provide

1 benefits to the distribution system such as off-loading  
2 constrained circuits.

3 Additionally, DER can help distribution utilities  
4 delay or even avoid capital infrastructure investments by  
5 participating through non-lawyers alternatives. So  
6 participation of DER in the wholesale markets, particularly  
7 through aggregations which allow for smaller resources that  
8 otherwise would not be able to participate -- to participate  
9 in those markets provides an additional revenue source for  
10 those resources.

11 This allows them to off-set their costs and it  
12 improves their business model. So we feel that it's  
13 important to allow the participation in those markets. That  
14 being said, we also do recognize that there are potential  
15 operational impacts or challenges that need to be addressed  
16 to maintain safety and reliability of the distribution  
17 system.

18 In New York these operational issues and  
19 technical issues are being addressed in a variety of forums  
20 -- this includes interconnection working groups that we've  
21 established to deal with very technical issues related to  
22 back-feeding or voltage control.

23 The New York State Commission also required the  
24 distribution utilities to file what we call distributed  
25 system implementation plans. These plans essentially are

1 asking utilities to address all of the issues including  
2 planning, operations and markets that will enable the  
3 participation of DER.

4                 These also go to addressing the coordination in  
5 which I think is a theme that we'll hear throughout the day  
6 -- so coordination between the distributed utilities and the  
7 New York ISO.

8                 I think you also heard this morning the New York  
9 ISO mention its DER roadmap initiative. Again, that's key  
10 to developing these communication protocols and operational  
11 protocols.

12                 So again, I think the key is visibility of the  
13 resources. We're going to need a lot of data to make that  
14 happen, proper rules for DER participation and also  
15 establishing this communications framework, thank you.

16                 CHAIRMAN MCINTYRE: Thank you, Mr. Chairman  
17 you've been very patient.

18                 CHAIRMAN HAQUE: Chairman McIntyre, Commissions,  
19 members of the FERC staff, thank you very much for setting  
20 this up and thank you for the opportunity to be here.

21                 So are there operational concerns -- yes. Can  
22 they be overcome? We think also yes. The Public Utilities  
23 Commission of Ohio just completed a relatively comprehensive  
24 grid modernization proceeding that we call Power Forward.  
25 Power Forward is a proceeding that paired the concept of

1 innovation also with the concept of enhancing the customer  
2 electricity experience.

3 Part of that realm was all things distributed  
4 energy resources. So like you, we are trying to figure out  
5 how to harness the benefits of distributed energy resources.  
6 I think you were asking the central question because it does  
7 -- it does the PUCO, it does the FERC no good if as this  
8 distributed energy resource world proliferates if there are  
9 operational issues that occur on the distribution system.

10 So here's what we learned in part through Power  
11 Forward which was frankly the distribution utility -- the  
12 distribution utility role and their set of competencies are  
13 going to have to expand as are state Commission's role in  
14 competency is going to have to expand.

15 So as DER's proliferate there will have to be  
16 impact analyses, hosting capacity analyses, all of these  
17 engineering things that are sort of the -- from a state  
18 regulatory standpoint are items that we don't typically see  
19 at the Agency.

20 We are economists, accountants, lawyers, these  
21 state agencies themselves are going to have to be more  
22 deeply engrained in all of these -- in all of these analyses  
23 in order to ensure that distribution utilities are  
24 conducting these analyses to make sure that if distributed  
25 energy and resources are advancing -- if they're aggregated

1 and advancing in a particular area of the distribution  
2 system that the distribution utilities themselves have  
3 conducted the right analyses to make sure that if  
4 dispatched, that the distribution system will be fine and  
5 state regulators will also need to develop that certain  
6 level of comfort.

7                 And so I think that this is a now admittedly the  
8 state of Ohio has very low DER penetration. But the -- what  
9 we are trying to do is get out ahead of the concern to the  
10 best of our ability and I think in -- in, while we haven't  
11 charted out the policy path post-Power Forward definitely,  
12 what we know is that the utility role is going to have to  
13 expand.

14                 They may have to act as a clearing house of sorts  
15 associated with the DER participation in -- in wholesale  
16 markets and the state regulatory bodies also are going to  
17 have to expand its level of competency so they fully  
18 understand what the utilities are doing and of course  
19 there's a compensation piece associated with all of this.

20                 CHAIRMAN MCINTYRE: Thank you, as to your Power  
21 Forward program, has that been the subject of kind of a  
22 final report or anything like that that reflects some of the  
23 lessons learned you've just alluded to?

24                 CHAIRMAN HAQUE: Chairman, not as yet. We  
25 finished phase 3 of Power Forward three weeks ago. We

1 expect for pretty comprehensive -- we call it a policy  
2 roadmap to be put out by the end of the year.

3 CHAIRMAN MCINTYRE: Very good, I think that's  
4 something that we all would benefit from being able to look  
5 at.

6 COMMISSIONER LEFLUER: Well thank you. I'm  
7 really struck by something that Chairman Thomas said which  
8 is we're building the system right now. This is a case  
9 where I think the technologies may be ahead of all the  
10 regulators because it's just happening as we speak.

11 I have two questions but because I want to hear  
12 from everyone I'm going to ask them together so we don't do  
13 two rounds. So, this morning at the RTO panel we went back  
14 and forth a little bit on how much variety of implementation  
15 we needed among the different regions versus coming up with  
16 some kind of model that works and then standardizing it so  
17 we don't have to do it six times.

18 And what we heard from the different regions, the  
19 region from California ISO to Midcontinent ISO and others  
20 was the big variety of prioritization and the level of this  
21 in the different states that either a single state or  
22 multi-state ISO served.

23 So I'm interested from each of you, what you see  
24 as how fast this is happening in your state. What's the  
25 trajectory of, you know, I know some states have targets and

1 goals of storage and are really pushing it. Others are --  
2 it's happening more organically. What do you see as a  
3 trajectory that would inform the prioritization in your  
4 state or in the region you're here representing?

5                 And then my second question and I'm only going to  
6 go back -- do down the road once, is as to the kind of value  
7 stack of what these distributed energy resources provide --  
8 be they, generation like distributed solar or a battery  
9 array or a car battery or whatever.

10               Because it seems to me that there's a lot of  
11 different values. I mean I said at the meeting it was a  
12 like a Swiss army knife. The first value could be to the  
13 customer itself, whether through net metering or to save  
14 money on the bill or to just use their own energy the way  
15 they want to use it in the mall or the university or the  
16 house, and just they get that value themselves.

17               There might be more than three levels but the  
18 second level is to the distribution company like -- or the  
19 distribution system, the retail system that Tammy talked  
20 about. I know there's something -- I'm sure I'm going to  
21 get this wrong but like in Brooklyn where they're not  
22 building the sub-station because they're doing storage --  
23 it's in one of the Boroughs, I think it's in Brooklyn.

24               That they're using it to defer distribution costs  
25 and so the distribution company is reaping that value and

1 then delivering it back to its customers and bills by saving  
2 that money -- and then of course, you know where I'm going  
3 with this. The third value is the wholesale -- if it's bid  
4 into the wholesale system and big resources could be  
5 deferred or deployed differently.

6                 And so how do we decide this? Does the customer  
7 get to decide? Is it -- that's where it resides? I mean  
8 because ideally we'd want to figure out if the markets work  
9 seamlessly between us, then you'd go where the revenue was  
10 so if the bigger value to society was wholesale, that would  
11 be where the money was and if the bigger value was saving  
12 that sub-station that would be where the money was.

13                 But everyone knows the markets are not that  
14 seamless so how are we going to -- because I don't think we  
15 should do it by fighting. I prefer that we not do it by  
16 fighting it out and competing, you know, decisions between  
17 us.

18                 So I'm going to start with Michael because he  
19 talked about it -- I forget what you called it the multi-use  
20 tariff, that sounded perfect. Why don't we just all have  
21 that?

22                 PRESIDENT PICKER: I'm going to let my colleagues  
23 speak to that tomorrow I think. But I will say that this is  
24 kind of a complex area. I do want to push back initially by  
25 saying that there are distribution system operators who

1 actually have pretty good management tools to operate the  
2 system with a high penetration in DERS.

3                   And I'll go to the example that Sacramento made  
4 of the utility district which is on the muni-side -- you  
5 know, it's a large utility and in some places small utility  
6 in California terms. But they actually have visualization  
7 of large parts of their grid -- they know exactly what is  
8 where.

9                   Now that came about as a result of their  
10 investments in advanced metering infrastructure and a lot of  
11 fiber for other purposes -- they wanted to get a time of use  
12 rate structure in place.

13                  COMMISSIONER LEFLEUR: That wasn't because of  
14 something that California required?

15                  PRESIDENT PICKER: Nope. They just wanted to do  
16 time of use. Well there is a requirement that people  
17 eventually get to time use but there are utilities who are  
18 on a much slower schedule than SMUD was. They wanted to  
19 actually be able to meet their summer peaks because it's a  
20 very hot community and they have exaggerated peaks on about  
21 two weeks out of the year rather than building generation  
22 they wanted to use customers.

23                  But they started to see some of these other DER  
24 resources showing up and they wanted to be able to visualize  
25 it and see the impacts. So they started that good mapping

1 process that I discussed. They also developed in concert  
2 with some software companies tools that actually let them  
3 see that and then they actually began to coordinate that  
4 with their weather map so they could actually look to see  
5 when there was going to be inclusion of some panels so that  
6 they could begin to actually get very real time impacts of  
7 generation from rooftop arrays behind the meter.

8                   So I just want to be optimistic that tools are  
9 being generated out there. I know that all the other  
10 regulated utilities are starting to do this -- they just  
11 have a lot more scope. There's a lot of challenges here and  
12 so I'm going to say that we had so many different  
13 proceedings in place in California that we had to put  
14 together our DER action plan -- it's a roadmap.

15                  It was mostly so that I could keep in my head all  
16 of the different proceedings we had for various types of  
17 distributed energy resources technologies. But even at the  
18 time that we were doing that -- starting in 2015 finally  
19 adopting it in 2017, we were fully aware that there was  
20 going to be an opportunity to sell into the wholesale  
21 marketplace.

22                  So what we did is we divided our vision into  
23 three areas -- grid architecture -- that's the distributed  
24 resource planning process. Second is rates and tariffs. We  
25 had NEM, we had a whole series of other kinds of tariffs

1   that -- that people could take advantage of, so a time of  
2   use coming as another demand response tool.

3                 We had the glimmering that people were going to  
4   use batteries as a tool to arbitrage into the market. Now  
5   we start to see them actually advancing demand response with  
6   batteries into the wholesale market very slowly -- we'll  
7   come back to that in Simon Baker's presentation.

8                 So each of these requires some thought and some  
9   effort to begin to plan it out. The distribution resource  
10   planning allowed us to actually begin to do two things. One  
11   is we started to look at the carrying capacity of different  
12   parts of the grids circuit and where we actually had  
13   constraints where we might want to focus and prioritize  
14   investment.

15                Another thing was similar to what the ISO does  
16   with their sub-laps and their nodal studies. I identified  
17   4500 nodes and they can actually price at each of those  
18   nodes. We're trying to develop a locational benefit net  
19   analysis as part of one of our grid architecture which then  
20   feeds into the tariff -- which then feeds into the tariff  
21   and it allows both the customer to decide whether they want  
22   to actually make the investment because they can have  
23   additional reliability, which is their consideration as well  
24   as arbitraging the demand charge that we have for all  
25   commercial industrial customers.

1               Then, you have the ability to -- to say well, we  
2 have some excess as a couple of these battery consumers have  
3 -- have with their behind the meter -- is there an  
4 opportunity for us to sell some of that demand response for  
5 even a discharge into the grid during those 12 peak days  
6 when energy use in California doubles in hot summer  
7 afternoons.

8               And we have a couple of businesses that have  
9 specialized in that kind of value stacking -- arbitraging  
10 for the customers, helping to -- the utility by reducing the  
11 need for additional generation, but then demand response on  
12 those peak days.

13              And so the utility now has the option to sell it  
14 into the ISO grid. We're not seeing most of those customers  
15 for aggregators step forward to do that on behalf of their  
16 customers because they're just helping them to arbitrage the  
17 demand rates -- that's really what we're seeing at this  
18 point.

19              But we can look for it to scale. We have around  
20 2,000 megawatts of demand response that the utilities have  
21 already procured. In the last two years we've actually  
22 derived another 180 megawatts in -- in, of demand response  
23 through these new technologies in the DER market.

24              So I think that we're starting to see it emerge.  
25 How it plays out however, is hard to really say. Will it

1 continue to be aggregated by the dominant utilities or will  
2 we start to see -- if we see more disaggregation of  
3 electricity generation, a series of other people step in to  
4 take control of that and help to shape the wholesale  
5 markets. And I don't have the answer to that.

6 COMMISSIONER LEFLEUR: Really helpful. So you're  
7 saying in some cases at least, the customer put in this  
8 machine for itself?

9 PRESIDENT PICKER: Oh yeah, absolutely.

10 COMMISSIONER LEFLEUR: And then somebody came  
11 along and said hey I can combine you with other people and  
12 do something for the distribution company. Maybe the  
13 distribution company or someone else -- and then the  
14 wholesale would be if the top of the pyramid or the end of  
15 the line, whatever, if somebody -- if there starts to be  
16 enough of them put up for whatever reason, some of them  
17 could aggregate to that level.

18 PRESIDENT PICKER: Now this is our experience and  
19 it's pretty granular and we started 15 years ago with  
20 advanced metering infrastructure. I think other people have  
21 the opportunity to leapfrog us and to pick off things that  
22 work from us, but things that may work from what people are  
23 doing with a very top-down approach in New York.

24 And, you know, it may fit better to just start it  
25 to point to New York and create a whole series of markets

1 and press it down. I don't have the answer for all the  
2 other states. All I can say is that we build on what we've  
3 already done because we have a lot of stuff in place -- so  
4 much that as a Commissioner I couldn't keep it all in front  
5 of me until we wrote it down on paper and organized it and  
6 set dates.

7                 And so if you want to have a sense of how we're  
8 proceeding on this, I recommend the DER roadmap. But each  
9 of the elements -- the action elements that we list here  
10 involves lots of work between us, between DER providers, the  
11 three regulated utilities and the ISO to actually develop  
12 any of these one potential markets that we'd hope would  
13 blossom over time.

14                 CHAIRMAN MCINTYRE: President Picker if I could  
15 briefly pick up on Commissioner LeFluer's intriguing  
16 question she posed upfront. Who pays what to whom and for  
17 what question? And specifically I'd like to ask you about  
18 the Sacramento Municipal Utility District Program you  
19 referenced whereby if I understood you, the entire SMUD  
20 footprint is modeled such as they see everything including  
21 all relevant DER's?

22                 What is the pace for that and how is that  
23 initiated?

24                 PRESIDENT PICKER: Well SMUD is vertically  
25 integrated. They own generation -- the regulated utilities

1 don't own generation for the most part, they contract for  
2 it. So they all end up coming back to load. I will say  
3 that right at this point what we're seeing is for the  
4 regulated utilities their costs of generation are not  
5 dominant -- in procuring the costs of new generation is not  
6 dominant in their rate cases.

7 It's actually distribution and transmission  
8 infrastructure to move power around and try to solve some of  
9 the locational barriers and to frankly just deal with years  
10 and years and years of disrepair and refurbishing to deal  
11 with these two-way flows.

12 So in each case, each of the tariffs is going to  
13 be somewhat different. There will be different payers in  
14 different cases. So for example, for some grid improvements  
15 it's going to be the generator or the person who is actually  
16 -- if it's a battery facility under some cases that the  
17 owner will be buying in the wholesale market, but if it's  
18 station power for that battery facility they'll be -- since  
19 they're going to be a retail consumer for that it's going to  
20 be paid in the retail market.

21 So it becomes really granular if people can learn  
22 from us hopscotch. If New York develops a way to actually  
23 create a way to actually create a master market that allows  
24 these things to compete more equally. I encourage that, but  
25 we have these constraints that have been built by these

1 long-standing tariffs.

2 Our NEM tariff goes back to 1996. Our Small  
3 Generator Incentive Program, our S-Chip program goes back to  
4 2001. So it's very hard to ignore those legislative  
5 mandates that require us to actually build incrementally on  
6 the expenditures we've made in the past.

7 COMMISSIONER LEFLEUR: Chairman Thomas, we heard  
8 a lot from MISO in the panel this morning.

9 CHAIRMAN THOMAS: Yes.

10 COMMISSIONER LEFLEUR: And you're the regulator.

11 CHAIRMAN THOMAS: I understand the desire for  
12 uniformity but that's challenging because the models -- the  
13 regulatory models and structures are different. For  
14 example, in the MISO footprint, we don't have a PJM-style  
15 capacity market. So if you're going to get paid the  
16 capacity value we have to mix retail and wholesale because  
17 if it's wholesale only, the absence of the capacity value  
18 impairs deployment -- similar with the vertically integrated  
19 utility.

20 There's a stranded asset risk that those in that  
21 state model -- we have to manage that risk. Now my friends  
22 in Illinois always point out we're not all vertically  
23 integrated. Illinois has the retail access model.

24 The second point -- part of the value to me is  
25 just price discovery. Knowing what the price is to allow

1 the technologies to compete. President Picker has made some  
2 -- that the aggregation there's been utility participation  
3 but that's so far. It's a price discovery mechanism.

4               It succeeds at that if nobody ever participates  
5 because you want to invest in optionality. Eventually you  
6 want some participation but its price discovery is a big  
7 part of that value. Who should drive it -- to me it's got  
8 to be consumer driven. When you look at the S curve that  
9 technology folks talk about the adoption rate of new  
10 technologies, it's consumers that guide that.

11              And we have segmented consumers. You know, we  
12 have some that think about green as the environment and  
13 others that think about the other kind of green. When they  
14 both come together, that's when the S curve will take off.  
15 But for them to see that value -- that's why to me the price  
16 discovery is very important.

17              And when it comes to the payment, who pays? To  
18 me a big part of that and again this is -- is what's the  
19 network -- this is borrowing some from the telecom folks --  
20 the net neutrality tax stuff.

21              What is the network and what plugs into the  
22 network? To me the network are a regulated monopoly -- they  
23 can deliver that. That distribution management stuff to me  
24 is a part of that network. And to me you don't want to be  
25 rigid about it. I mean over the long haul you want the

1    beneficiaries to pay but if you're sitting there thinking  
2    about it and the reason you can think about it is because  
3    the system exists that gives you price discovery to know  
4    whether it's a value or there's some value there for you  
5    too.

6                    COMMISSIONER LEFLEUR: I think you mentioned that  
7    as we know a lot of MISO is vertically integrated, do you  
8    think the potential stranded cost risk of the central  
9    station resources that those vertically integrated customers  
10   are paying for or that the companies built is slowing the  
11   adoption of some of the distributed -- or do you think  
12   there's still purveyor vendors out there trying to put in  
13   solar roofs and all and people see value?

14                  CHAIRMAN THOMAS: I think we're among the low  
15   cost states. We're lower than average in the MISO  
16   territory. I think that's a bigger impediment but to me a  
17   regulator needs to be focused in terms of making long-term  
18   investments thinking how through the IRP process, you know,  
19   how do we get apples to apples comparisons between not only  
20   the traditional stuff, but the traditional stuff, you know,  
21   plus what might happen in DER which is outside the utility's  
22   control and plus what might happen in demand response or  
23   efficiency in all of those things and try through the IRP  
24   process to come up with a way to have an apples to apples  
25   price comparison.

1                   And also to measure the quantity -- you can tell  
2   the utility to go build "X" quantity but you're going to  
3   have question mark, question mark, question mark in DER --  
4   that's where the forecasting becomes important.

5                   So we have to manage the total quantity but we  
6   need to -- we need a crystal ball of course would help.

7                   COMMISSIONER LEFLEUR: Yes.

8                   CHAIRMAN THOMAS: But we don't have one of those  
9   so we need optionality and in the EIRE process, you know,  
10   reserve a portion and then watch and see what happens and if  
11   you have to bump the utility to do more or perhaps even do  
12   less, then you would do that.

13                  COMMISSIONER POWELSON: I just want to pick up on  
14   the Chairman and Commissioner LeFleur's point. As I listen  
15   to the conversation you know, the FERC was ahead of the  
16   curve if I can use that term lightly here, with what we did  
17   with FERC Order 745 where we had an emerging market on  
18   demand side resources.

19                  And I look back to my colleague from Pennsylvania  
20   and probably my colleague in Ohio who had to deal with this  
21   issue within an organized market of how do we value that  
22   demand-side resource in the wholesale markets?

23                  And then unbeknownst to us we find out that it  
24   was being treated in the wholesale markets and then where  
25   there is a utility energy efficiency conservation measure,

1   that we had an unintended consequence of double-counting or  
2   double-dipping in that market.

3                 So I want to throw this out to you as economic  
4   regulators. How do we avert that scenario as we design  
5   these compensation metrics for DER resources? How do we --  
6   how do we give solace to consumers back in our individual  
7   states that we can avert that kind of situation unfolding?

8                 CHAIRMAN THOMAS: To me if you can draw the line  
9   between the wholesale and the retail and let the states  
10  choose whether to mix it or not. Because if there's forced  
11  mixing -- some states are interested in this as staff  
12  resources, some states don't. If you force it then you're  
13  going to get a screwball.

14                 They're complex issues that we can work through.  
15   Our engineers will figure it out. We might not figure it  
16   out in 180 days or 270 days but we'll figure it out and  
17   there's enough states that want to figure it out. There's a  
18   critical mass of states in the MISO area that want to figure  
19   out how to mix it -- we'll figure it out and then when we  
20   develop a model -- you know, every state doesn't have to do  
21   it at once.

22                 We'll build the model to states that want to  
23   figure it out and if there's economic value there then the  
24   other states can adopt it. And to me that helps with the  
25   jurisdiction thing too. Have the wholesale thing separate,

1 allow the states to decide whether you're going to mix it  
2 because it's a very complex issue.

3 There are enough states that want to do that and  
4 want to work on that and you know, we'll figure it out.  
5 When the wind came on the forecast variances were large.  
6 They're not large anymore, we figured it out. We'll figure  
7 this out too.

8 COMMISSIONER CHATTERJEE: If I could build on  
9 that response and Commissioner Powelson's question. The  
10 context of demand response to Commission provider states  
11 with an opt-out -- could you all comment on whether an  
12 opt-out provision for DER's would be important to your  
13 states?

14 And if the Commission were to include an opt-out  
15 provision in a final rule, how would you make the decision  
16 on whether or not to opt out?

17 CHAIRMAN THOMAS: To me I don't know about an  
18 opt-out of everything. Let the states opt-out of mixing.  
19 To me that's a line that we can draw. It gets more to the  
20 bright line that the Supreme Court used to talk about to the  
21 fuzzy line that they created in recent years.

22 COMMISSIONER LEFLEUR: What do you mean by  
23 mixing?

24 CHAIRMAN THOMAS: Mixing wholesale and resale  
25 compensation for the same DER asset.

1                   COMMISSIONER POWELSON: So to be clear, what  
2 you're saying is that if you are selling -- if you are  
3 selling at the retail level, at the distribution level the  
4 state could tell you not to sell at the wholesale level?

5                   CHAIRMAN THOMAS: The states tell you to pick one  
6 or the other rather than trying to capture the value streams  
7 because that's where the double-counting risks and those  
8 risks exist that some states are in the process of tackling  
9 but others are not. That way you don't have unintended  
10 consequences -- it's not an opt-out such that we don't want  
11 any DER to participate in wholesale.

12                  It's just that when we're trying to capture these  
13 value streams -- like storage is so flexible it's, it's nuts  
14 -- it moves, nothing in this business moves. You can pick  
15 it up and move it to a different place.

16                  To capture all these different value streams is a  
17 complex question and let the states decide whether you can  
18 participate at the same time in retail and wholesale, have  
19 your wholesale the way it is under 841. To me that -- that  
20 is a logical way to do it that protects the states from  
21 unintended consequences.

22                  That gets folks that think they can run a  
23 business model wholesale not only the opportunity to do so  
24 and gives the states the opportunity to develop all these  
25 things that we're trying to build including the systems to

1 do all of this stuff and then the policy -- to capture the  
2 value streams.

3 CHAIRMAN PLACE: I'm sorry, I may jump on that  
4 because I think I take a slightly different perspective on  
5 that. I think to me the proposition here -- the value  
6 proposition of aggregation is a mixed hybrid system where  
7 people -- where the only way for this market to grow as I  
8 see it is to have the opportunity where you can mix and  
9 match.

10 I think if you sell people it's one or the other  
11 I think we're fixing the system we've had. We're not  
12 looking to the future on what this value could bring. And  
13 I'm certainly cognizant of Commissioner Powelson's comment  
14 about unintended consequences -- it's a real concern.

15 But I'm not allergic that you will have people  
16 applying in both but price transparency, engineering,  
17 accounting principles, rules -- this is not the first rodeo  
18 for Commissions in dealing with rules and rates to manage  
19 that space.

20 Yes, we can get blindsided but that's for me, no  
21 reason not to go down that route because as I noted it's to  
22 me the true value of doing this.

23 CHAIRMAN THOMAS: I don't think Commissioner  
24 Powelson disagree -- to me going to lengths starting there  
25 and then let the states figure out how to bring it together.

1 I agree that you shouldn't just separate it and say never,  
2 but that's not where you end. Let the states work through  
3 it.

4 CHAIRMAN HAQUE: Sorry, I think if -- let me  
5 continue down this line because we may, we may collectively  
6 all have different opinions about this conceivably. So  
7 Ohio's position is definitely that DER's should not be  
8 compensated for the same services or products at both the  
9 wholesale level and the retail level.

10 Now they could potentially in the PJM marketplace  
11 participate in a market and also receive what would  
12 constitute a payment under the net metering tariff, but as  
13 long as they're not receiving payment for, for instance,  
14 energy on the -- on the retail side as well as energy from  
15 the PJM wholesale markets, we're okay.

16 They can participate in both from Ohio's  
17 perspective but they should not receive payment for both on  
18 the retail side and the wholesale side for both the same  
19 service, so maybe a little of nuance there -- Commissioner?

20 COMMISSIONER POWELSON: Well to pick up on that  
21 too, I mean it's not insurmountable and I thank you for  
22 hosting me yesterday in the great Buckeye state.

23 CHAIRMAN HAQUE: My pleasure.

24 COMMISSIONER POWELSON: Yes, I made it home okay  
25 so. But just picking up on that and my friends from A&P who

1 I met with, you know you look at as these markets evolve  
2 and we look at again, this compensation metric for this  
3 research -- do you ever vision and Chairman Haque in your  
4 state and Andrew back in Pennsylvania, where these resources  
5 could be part of a discussion whether it's an energy  
6 efficiency mandate, putting a value around it in that  
7 construct, or as states now potentially are amending their  
8 renewable portfolio standards -- could that, could this DER  
9 I think California is ahead of all of us there, President  
10 Picker is that --

11 COMMISSIONER LEFLEUR: Hawaii is not here but  
12 they're still only 100%. So I always say that I promised  
13 Lorraine I'll always mention it.

14 PRESIDENT PICKER: They don't have wholesale  
15 markets.

16 COMMISSIONER LEFLEUR: Yeah.

17 COMMISSIONER POWELSON: They also have 43 cent  
18 distribution rates so let's --

19 COMMISSIONER LEFLEUR: They're an island.

20 COMMISSIONER POWELSON: That's right. So pick up  
21 on that and give us your state perspective thoughts.

22 CHAIRMAN HAGUE: Multiple revenue streams are  
23 okay, just not duplicative revenue streams. And that's  
24 where -- that's Ohio, that's where Ohio was situated. I  
25 can't speak for the rest of my colleagues but that -- that

1 is where we're situated.

2 Now let me try and get back to also Commissioner  
3 LeFleur's question about the -- who makes the decision and  
4 from our perspective and really the basis for all things  
5 Power Forward is the customer's decision.

6 The customer wants to install whatever  
7 distributed energy resource, his or her, its property and  
8 they get to decide what -- how they choose to be  
9 compensated. So if they think it easier to say on the net  
10 for now -- they think it's easier to stay in a net metering  
11 tariff because they just like the credit to roll over to  
12 their next bill, that's fine.

13 And they could be compensated for those products  
14 and services that they would have obtained in the wholesale  
15 rate through -- or in the wholesale marketplace from PJM if  
16 they decide that they want to participate because maybe the  
17 -- maybe the net metering tariff is not as lucrative for  
18 them if they decide that there is an entity that comes in  
19 and aggregates them and they can receive more in terms of a  
20 check even from a third party and that's their goal is to  
21 maximize the value of that resource -- that's acceptable to  
22 us as well.

23 Through Power Forward we had discussions  
24 surrounding the concept of what does in front of the meter  
25 and behind the meter mean anymore, okay? And it's a really

1 interesting theoretical discussion to have, but I think this  
2 is the construct that we're still dealing with.

3 So Commissioner LeFleur, I'm getting your -- I'm  
4 getting to this question as well about the three levels of  
5 potential DER participation and this is really about the  
6 utility ownership okay, so that's our position on the behind  
7 the meter side which is -- let the customer install and  
8 choose, okay.

9 COMMISSIONER LEFLEUR: But of course the customer  
10 choice is going to be informed by the incentives we send  
11 either in tariffs or in net metering rules or in if the New  
12 York DPS wants something in Brooklyn, but yes, but then they  
13 make the choice within those revenue streams they can see.

14 CHAIRMAN HAQUE: That's right and on the  
15 distribution utility ownership I'm just speaking for myself,  
16 not my -- not the other four members of the Agency because  
17 all of this has to be flushed out through what we decide in  
18 Power Forward. But it does appear that there is the  
19 opportunity for distribution utilities to integrate DER's  
20 into what we typically would compensate for in distribution  
21 rates for the benefit of the distribution system, okay?

22 So if that happens, we'd have to discuss process,  
23 we'd have to discuss ownership okay? But if that happens  
24 that is a separate animal in and of itself and so if the  
25 distribution utility decides to try and maximize the benefit

1 of that resource in the wholesale markets or does that  
2 revenue stream go to -- now if you think about it  
3 conceptually and if that DER is going to be integrated into  
4 the system and it's going to be essentially part of the  
5 distribution system, likely recovered through DU8's or some  
6 kind of potentially rider mechanism, then it would be  
7 arguable that any benefit received through wholesale markets  
8 should also -- should offset the cost to customers for  
9 implementing that.

10 So, I think if we're still using the in front of  
11 the meter, behind the meter convention you've got the behind  
12 the meter opportunity for a consumer to utilize wholesale  
13 markets as well as net metering tariffs.

14 And in front of the meter if it is going to be  
15 part of the distribution system, then that is something that  
16 the state regulators would deal with through whatever state  
17 regulatory mechanism is available to them to incorporate  
18 that into the D system.

19 And the very first question about how fast is  
20 this moving -- Ohio -- not that fast. I mean we are getting  
21 out in front of this and to President Picker's point we want  
22 something comprehensive and we've got -- well I think not  
23 390 megawatts in nameplate capacity of distributed  
24 generation in the state, a whole lot -- but I will tell you  
25 the -- the item that is becoming hot in Ohio and as a result

1 of some of the folks Commissioner Powelson met with, the  
2 smart cities endeavor in Columbus that we're very proud of  
3 is the electric vehicle charging station.

4 So, so again it's rising slowly but there are  
5 some hot issues out there.

6 COMMISSIONER POWELSON: I thought you were going  
7 to mention a hot issue with a company up in Akron, but  
8 that's for another saga right?

9 CHAIRMAN HAQUE: I have zero comment on that.

10 COMMISSIONER POWELSON: I will stick to the  
11 script.

12 CHAIRMAN MCINTYRE: Moving right along. Could we  
13 hear please from Mr. D'Antonio?

14 MR. D'ANTONIO: Good afternoon, thank you very  
15 much. Ben D'Antonio. I'm here on behalf of the New England  
16 States Committee on Electricity. That's our regional state  
17 committee and I'd like to be responsive to some of the  
18 questions but the conversation has meandered a bit.

19 Commissioner LeFleur in terms of the trajectory  
20 -- at this point in time the operational impacts in New  
21 England, they're unclear. We have a very diverse set of  
22 distribution systems, various levels of infrastructure,  
23 advanced metering, et cetera. So we're not really sure what  
24 the operational impacts are at this time.

25 We do have some distributed energy resources, not

1 much aggregation that's participating, you know,  
2 meaningfully yet. We do have several states that are  
3 actively exploring some of these operational issues.  
4 Massachusetts has a grid modernization initiative. They  
5 have a long-standing technical review standards group that  
6 deals with some of these sticky technical issues.

7 So we're actively working on it but you know,  
8 some of our states have pretty ambitious goals and others do  
9 not. So it's not quite clear how quickly this evolution  
10 will happen here in New England.

11 But I think from our perspective, anything that  
12 the DER aggregation does moving forward, it's going to need  
13 to be consistent with the interconnection and integration  
14 requirements that we place upon our distribution utilities  
15 trying to get at the -- who decides and who pays question.

16 I just want to bring up how important we view the  
17 distribution utilities in New England. We view them as  
18 having a critical gate-keeping role as well as an  
19 administrative and oversight role. Given the important  
20 nexus between the states and the distribution utilities in  
21 New England and I imagine other places.

22 We're really expecting them to play just a  
23 critical role in this trajectory and evolution. And in  
24 terms of, you know, who decides and who pays I think that I  
25 agree with the other panelists and the Commissioners who had

1 spoken before where it's going to be the tariffs, the  
2 requirements, the incentives that all of us together have  
3 put in place that are going to guide some of those  
4 decisions moving forward.

5                   Commissioner Powelson, in terms of double  
6 compensation -- again we view the state's oversight role and  
7 coordinating role with the distribution utilities and our  
8 regional system operator to be critical in guarding against  
9 any double compensation issues.

10                  I think that, you know, the level of compensation  
11 versus being paid twice for the same service -- there's a  
12 debate there. And we don't need to get into that but due to  
13 the fact that we think that our distribution utilities are  
14 going to drive a lot of this for us, we're viewing them as  
15 gatekeepers against that outcome.

16                  And lastly, Commissioner Chatterjee, in New  
17 England we haven't heard a lot of demand for an opt-out  
18 provision. I think that we're asking for flexibility to  
19 continue to proceed cautiously yet steadily so thank you.

20                  COMMISSIONER LEFLEUR: I was going to say this is  
21 probably a good segue to Tammy because you have the DSO  
22 model in New York right?

23                  MS. MITCHELL: Yes, thank you. So I'll just  
24 briefly go back to your first question about the desire for  
25 standardization. I mean we recognize that desire, you know,

1 for simplicity, to avoid seams in the future. However, I  
2 think you've heard today that there are existing regional  
3 differences. There are also differences in where we are in  
4 the development of the framework for the integration as DER  
5 resources.

6 So from our perspective, our concern would be  
7 that we don't try to achieve uniformity at the expense of  
8 slowing down our efforts going forward to integrate DER.  
9 With respect to the value of DER as you probably know in New  
10 York State we actually are developing retail tariffs called  
11 Value of DER Reader Tariffs.

12 Those are intended to recognize the various  
13 values that DER can provide energy capacity, the value to  
14 the local distribution system, environmental benefits. So  
15 those retail tariffs are being developed with those various  
16 values in mind. I think Commissioner LeFluer you pointed  
17 out that a customer -- a DER developer might -- might  
18 purchase DER, might invest in DER based on what the signals  
19 are out there.

20 So we do recognize that there are values of DER  
21 to the distribution system and to the bulk transmission  
22 system as well so we want to recognize those values, we want  
23 to monetize those values and we want to develop rules around  
24 that.

25 That being said, we support the idea of DER being

1 able to participate both in retail and wholesale markets.  
2 There's a lot of work in developing the rules and the  
3 protocols for that to happen. Certainly, as a regulator, as  
4 an advocate for the ratepayers, we don't want inappropriate  
5 double payment for the same service that will raise the  
6 costs to ratepayers so we need to be cognizant of that and  
7 we need to develop the appropriate rules, but we believe  
8 that that's possible to do and we are in the process of  
9 doing that.

10 CHAIRMAN MCINTYRE: Mr. Norton?

11 MR. NORTON: From the perspective of the  
12 municipals, probably at a little bit different size scale  
13 here. You know, AMP has members that have maybe 100  
14 customers or some even a little bit less than that. So you  
15 also have to keep in mind that the utility personnel --  
16 there are fewer of them.

17 So when you come to the double compensation issue  
18 if the resource is allowed to choose -- oh today I'll be in  
19 the wholesale market, tomorrow I'll be, you know, I'll be  
20 retail many or whatever, that could create issues for those  
21 personnel to try to keep up with that.

22 And especially if you take it all the way to the  
23 level that you know, we're now under 5 minute settlements or  
24 shortly -- at least within some of the RTOs we're going to  
25 be under 5 minute settlements. That could present a very

1 significant challenge for small utility personnel to -- to  
2 keep up with that.

3 As far as penetration that Commissioner LeFleur  
4 asked about, I probably got about 134 different answers on  
5 that. You know, small local communities, you know, maybe  
6 not economically such a great position right now where  
7 you're not seeing any of it and then you have other  
8 communities, especially around some of the colleges where  
9 you see lots of penetration.

10 CHAIRMAN MCINTYRE: So if I'm taking your point  
11 correctly then as we proceed on this we have to be attentive  
12 to these challenges you reference -- operational,  
13 technological and administrative.

14 MR. NORTON: Yes, and it's going to be size --  
15 especially for the municipalities, it's going to be size  
16 dependent. You'll have some of the larger utilities as was  
17 referenced by President Picker.

18 I don't know if any of our members are quite as  
19 advanced as Sacramento is, but you know, we do have members  
20 that have pretty advanced systems that can dynamically set  
21 protection relays on substations remotely and they have  
22 automated meter reading and it's not that hard, you know,  
23 it's just a meter installation and they already have a  
24 system that could configure it in a DER, they you have  
25 others that, you know, I don't know -- I haven't had one on

1 my house for a long time.

2           But you know, you used to have those little meter  
3 things that spin, you know, I haven't seen one of those in  
4 years where I live. But you know, it runs the gamut with  
5 especially the smaller utilities.

6           CHAIRMAN MCINTYRE: Commissioner Powelson?

7           COMMISSIONER POWELSON: To answer, to go back to  
8 the question Commissioner LeFleur posed about value and  
9 interest -- in the District of Columbia, you don't have to  
10 go very far to run into someone who's a genuine energy  
11 expert.

12           So we have a very educated constituency and if it  
13 goes down to what my colleagues said about what people want,  
14 here in the District people are dying to get at this. I  
15 think part of the problem is what the Commission identified  
16 is that we have -- how do you compensate?

17           I think if we figure out the compensation issue  
18 people will come, regarding the double compensation  
19 question. I actually support -- we support in theory, not  
20 allowing people to simultaneously get double payments.

21           I think to my colleague from Ohio's point, if you  
22 can have an opportunity where there's a device where they  
23 can participate non-simultaneously, both in the wholesale  
24 and retail market -- that's something I would not want to  
25 foreclose. In fact NARUC mentioned that in their comments

1 that this is something that may require more study.

2 So I don't want to be too overly broad on that  
3 point. There was a question about what is the value. For  
4 the District of Columbia, you hit it on it Commissioner  
5 LeFleur, it really is deferring costs for investments.

6 We're looking and billions of dollars of  
7 investment in transmission in and around the District of  
8 Columbia. In fact if I were to call a working group  
9 tomorrow to talk about non-wire solutions in the District of  
10 Columbia to defer cost, we'd have hundreds of people show  
11 up.

12 This is something that is very, very on the front  
13 minds of people where I am and I just want to hit the  
14 standardization issue as well.

15 I want to caution against a one size fits all  
16 approach. Earlier this morning we had people talk about how  
17 RTOs are often the laboratories for this sort of thing. I  
18 think that that's good advice. I think that flexibility is  
19 the word of the day and I think that there's a stakeholder  
20 process -- as least in PJM where that if there are any  
21 incremental changes to the processes that's where it can  
22 happen as long as the states have a role.

23 COMMISSIONER POWELSON: Mr. Chairman can I pick  
24 up on that?

25 CHAIRMAN MCINTYRE: Please do.

1                   COMMISSIONER POWELSON: So in the New York rev  
2 model as I understand it here looking at my DER compensation  
3 manual -- it's LNP plus D correct -- that's the compensation  
4 metric applied?

5 MS. MITCHELL: Yeah, okay so we have a value  
6 staff.

7 COMMISSIONER POWELSON: Okay.

8 MS. MITCHELL: We have various components so.

9 COMMISSIONER POWELSON: Just say with me here.

10 MS. MITCHELL: Okay sure.

11                   COMMISSIONER POWELSON: Your LNP plus D -- what  
12 if a jurisdiction says LNP plus G as we did under FERC Order  
13 745 going back to what Commissioner Phillip's point of  
14 standardization how that would probably create a problem for  
15 us as we try to synchronize these resources in the market.  
16 Don't feel -- believe me I'm -- we can answer it next week  
17 okay, I get it.

18 But I just need to think about it because one  
19 jurisdiction's LNP plus D and another jurisdiction or the --  
20 in the organized market is known as PJM with 13 states.

## 21 Could it be LNP plus G?

22 And I think under FERC Order 745 it was LNP plus  
23 G is it not -- the treatment of those demand-side resources,  
24 no?

25 COMMISSIONER LEEFEUR: No it was LNP. The

1 question was that it didn't minus the --

2 COMMISSIONER POWELSON: Minus --

3 COMMISSIONER LEFLEUR: As long as it met the net  
4 benefits test. We need a drink to discuss.

5 COMMISSIONER POWELSON: Okay, thank you that's  
6 why I wanted to go to the historian. But how would you all  
7 approach that I guess is my question. You know I heard  
8 Chairman Thomas talk about respect the regional differences  
9 which I wholeheartedly agree with you but --

10 CHAIRMAN THOMAS: This is also falls into the  
11 whole other state policy thing. The states are going to  
12 have different policies, they're going to have different  
13 cost impacts and there has to be a way to accommodate those  
14 different cost impacts within one market and that's a  
15 challenge.

16 And one broader point that I wanted to make on  
17 aggregation because there was some discussion in the first  
18 panel, you know, why do we need it, what good does it do?  
19 To me one of the keys that hasn't really been mentioned is  
20 what it is -- is it enables innovation in customer  
21 engagement.

22 To me that's a key point. You know we're going  
23 to have a sign over here that says, "Please turn off your  
24 cell phone." There's never going to be a sign in here that  
25 says, "You know, please refrain from participating in the

1 wholesale markets, you know, pay attention to the meeting."

2                   We need innovation in customer engagement where  
3 somebody can say, "I don't want to worry about all this  
4 stuff and hand it off to somebody else." That's the  
5 aggregator and we need innovation in business models and  
6 innovation in the technologies because people aren't going  
7 to sit here -- some will, energy nerds will, the people in  
8 this room will, but most folks aren't going to sit there and  
9 follow the LNP and figure out when to kick their battery on.

10                  We need automation to do that and where you're  
11 going to get automation and investment in innovation is  
12 through aggregation.

13                  COMMISSIONER GLICK: Mr. Thomas I wanted to  
14 follow-up on that for a second because I agree with you  
15 100%. I'm just curious how earlier you referenced something  
16 I would call maybe, opt-out light, essentially it's to tell  
17 I'm sorry, DER, when you sign-up at the retail level you  
18 can't maybe, maybe you can't participate in the aggregated  
19 wholesale market.

20                  And I wonder how the markets inform, if you had  
21 that approach because I think in the organization MISO  
22 state's comments submitted to the Commission in the NOPR  
23 proceeding here, I think it was referenced that the Illinois  
24 Commission, I think wanted to make a point about -- in the  
25 opt-out provision that we have with regard to the demand

1 response proceeding, Order 719 -- that essentially, by  
2 allowing states to opt-out that essentially stunted  
3 innovation and stunted the development of markets.

4 I wonder if you could talk to that a little bit  
5 and how you're opt-out light approach could coincide with  
6 that.

7 CHAIRMAN THOMAS: I don't think it would stunt  
8 innovation because the states that want to do it want to do  
9 it and develop a model. And when they find value, other  
10 states are going to want to do that.

11 I think what Chairman Haque said, that's what  
12 everybody wants from a thematic policy view, but it's really  
13 complex to get there. And the question is who wants to  
14 tackle that?

15 I agree it would stunt growth if nobody wanted to  
16 tackle that but some states being willing to tackle it means  
17 we're going to get there, but the other states -- I know one  
18 state there's economic difficulties. They have too much  
19 generation because their load has gone down because of the  
20 economy.

21 They don't want to spend their limited staff  
22 resources because they're under budget pressure too, to  
23 study a problem of how we get more generation when they're  
24 trying to figure out what to do with the excess that they  
25 already have.

1               If that state has to deal with these complex  
2 issues of multiple strains -- I mean they agree with what --  
3 I mean what Chairman Haque was a very good statement of the  
4 policy. Just when you push down into those details who's  
5 going to work through those complexities?

6               You're making -- you're giving states and out on  
7 working through those complexities while other states and in  
8 my view there's a critical mass of states that will do that  
9 in the micro area that's what I was trying to say -- does  
10 that make sense?

11              CHAIRMAN MCINTYRE: If I may, if the goal as we  
12 approach it in our storage proceeding is to ensure that in  
13 our wholesale markets there are no significant burdens to  
14 the participation of these resources in the markets would it  
15 amount to a burden, significant or otherwise, to have this  
16 state have the ability to say it can't participate in the  
17 wholesale market if you're over here -- participating in a  
18 market that we oversee?

19              CHAIRMAN THOMAS: To me it's the starting point  
20 not the ending point. To me let's start there so we don't  
21 force everybody to study these very complex questions and,  
22 and I wouldn't think that if I didn't know there were states  
23 that want to tackle these things.

24              And when they figure it out and they provide  
25 value then it will be easy for the other states to adopt

1 that. I hope that's responsive -- it's a starting point,  
2 it's not the ending point.

3 CHAIRMAN MCINTYRE: Yes President Picker and let  
4 me note we have about five minutes left, quick to for the  
5 timing.

6 PRESIDENT PICKER: I'm not saying that we're  
7 eager to approach these things but because there is strong  
8 demand for opportunities to innovate and there is a lot of  
9 customer pressure to actually be able to approach these  
10 things that's going to talk about some of the steps that  
11 were involved in our ESTER proceeding which tries to make it  
12 easy for an ISO to accommodate energy storage in DER in  
13 their markets.

14 So again, they're outcome has to be market role  
15 changes and so we did a rolling initiative that could  
16 continue because I think we will get parts of it right, new  
17 technologies, new ways to apply technologies.

18 So Phase I, which was approved by FERC, being  
19 implemented in 2016, demand response enhancements to  
20 recognize behind the meter generation as statistical  
21 samplings, so that's the visibility. Storage modeling  
22 enhancements for submitting and for resources to  
23 self-manage their energy limits in state of charge so it  
24 gives them some ability to flip back and forth.

25 Phase II, which you approved in 2017 and is going

1 to be implemented this year. ISO staff and the CPUC staff  
2 finalized a joint report on the multi-use application  
3 framework which was released in 2017 and we adopted,  
4 incorporated a gas indices into the net benefits test to  
5 calculation to reflect the energy imbalance market  
6 participants.

7 That's a regional constrained wholesale market --  
8 we clarified power station power treatment for storage  
9 resources, we added three additional load baseline  
10 methodology options to better reflect performance of various  
11 demand response types.

12 And then currently this is the discussion we're  
13 now broaching on in Phase III is new bidding and real time  
14 dispatch options for demand response, removal of the single  
15 load-serving entity aggregation requirement and hopefully  
16 this will allow the emergence of system aggregators.

17 The measurement of behind the meter electric  
18 vehicle supply and load curtailment, assessment of multi-use  
19 application tariff and market design changes and then  
20 developing a process to identify use limited status  
21 qualification to storage resources which I hope gets at this  
22 -- eventually helps us to get this question on double  
23 compensation.

24 So it is fairly granular. We do have resources  
25 to approach this. More than anything else is we have a

1 really strong will for the CPUC to work with the ISO to make  
2 this work. And that, more than anything else, is forcing  
3 our hands in these things and so you know, I'm not  
4 volunteering to do it and if New York can come up with the  
5 better way, we'd be happy to adopt their model.

6                 But at this point we have a range of technologies  
7 that haven't been experienced, being used in ways that  
8 people didn't anticipate and providing values that are very  
9 hard to predict. And we're just trying to make sure that it  
10 works.

11                 So if in fact, what the intent is of the  
12 Commission is to actually remove barriers for people to  
13 approach that, God bless you. We think the storage  
14 proceeding was a very good one. But I do think that it's  
15 going to be hard to come up with that magic one size fits  
16 all.

17                 Someday the grid, at least in portions of  
18 California, will be plug and play. You can walk in, plug in  
19 your DER, it will be recognized. Whatever algorithms you're  
20 using to actually sell services to customers or to the ISO  
21 or to the utilities will be recognized and managed and then  
22 settled just in the way that people manage to do this and  
23 the MRT use and the wholesale markets.

24                 We have a long ways to go and if you want to jump  
25 in and help us that's great, but I would recommend that you

1 let us beat our head against those brick walls.

2 CHAIRMAN MCINTYRE: Thank you, Commissioner Place  
3 and then Chairman Haque.

4 COMMISSIONER PLACE: Thank you. Yeah, just  
5 quickly just a reminder to think we're trying to hold the  
6 tide back. I'm not sure we have that option but I was just  
7 thinking from the Pennsylvania PJM perspective.

8 These markets will substantially enhance the  
9 health of our PJM market whether it's energy capacity,  
10 ancillary services so I can't imagine an opt-out for us even  
11 if it's complicated to do and I know operationally yeah,  
12 accounting-wise, very complicated to do.

13 But I can only see us wanting to move in that  
14 direction because it does make our markets more healthy and  
15 that benefit is real. Particularly because if it enhances  
16 visibility and enhances connectivity and increasingly as  
17 we're seeing this, behind the meter, in front of the meter  
18 to me is some sort of an -- is a construct that somewhat is  
19 lost in this conversation, it should be, it's an archaic way  
20 to think about this, I think.

21 So the more we have that since we're getting more  
22 generation, getting more storage et cetera, on that  
23 distribution side for me the only future way forward is to  
24 participate in these markets and to encourage their use,  
25 thank you.

1                   CHAIRMAN HAQUE: Chairman, Commissioners again  
2 thank you for the opportunity to be here. This is really  
3 fun to be part of the sort of policy piece of this so I'm  
4 very grateful again, for the opportunity.

5                   So Chairman, to get to your question I think  
6 there's -- there is in my mind two sets of potential  
7 barriers. Those barriers that are attributed to the concept  
8 of distribution system reliability okay and if those are  
9 barriers that we put up to ensure that the D system remains  
10 reliable, then those are worthwhile barriers okay.

11                  Because again, I don't think it's to anyone's  
12 benefit to experience D system reliability issues as a  
13 result of a marketplace that you create okay. Now the  
14 marketplace barrier piece -- now there will be a spectrum of  
15 where states sit on this and so you'll have states on one --  
16 one end of the spectrum that will say, "Get off my lawn,"  
17 and then you'll have states on the other end of the  
18 spectrum that would be very friendly to, to the opportunity.

19                  So I guess I in just being sort of realistic  
20 about this -- you're going to create the marketplace that  
21 you -- you're going to create what you deem to be the ideal  
22 marketplace for these resources.

23                  And what I think is really important to sort of  
24 hone in on, assuming that you buy the D system reliability  
25 barriers and the necessity of that, is what will be

1    technically feasible actually for the aggregators to  
2    participate in the wholesale market for EDUs and RTOs to be  
3    interacting and coordinating associated with aggregator  
4    participation.

5                 What level of day-to-day coordination is going to  
6    be necessary between the RTO and the, I call them EDU's --  
7    distribution utilities in order to if there are -- if there  
8    are units -- if there are aggregated DER's dispatched, what  
9    does that look like for the distribution utility.

10               So I guess what I'm saying is when I'm charting  
11   out the policy roadmap, the reliability barriers there can  
12   be no sort, of from I think most state's perspectives, there  
13   can be no debate or discussion.

14               From the marketplace barriers perspective you may  
15   -- you may be in a position where you create the ideal  
16   marketplace and then you've got to figure out what is  
17   technically feasible between really, you know, four parties  
18   which are states, distribution utilities, aggregators and  
19   RTOs.

20               CHAIRMAN MCINTYRE: Acknowledging the criticality  
21   of ensuring protection of the distribution system as you've  
22   just described it -- do you agree with Chairman Thomas's  
23   point that if this DER market if I could use the term it's  
24   going to flourish, it needs to be ultimately consumer  
25   driven?

1                   CHAIRMAN HAQUE: I don't know that if the market  
2 is to flourish it has to be consumer driven but the position  
3 that the state of Ohio has taken just generally on in the  
4 electricity -- in all of our spaces that we regulate is that  
5 it should be consumer driven.

6                   So whether or not it allows for the market to  
7 flourish, I'm not sure but I think we are -- that the head  
8 space of the PUCO right now is that what we should be doing  
9 and the issues that we should be analyzing should provide  
10 net value to customers at the end of the day and let them  
11 hopefully through education, make the choices that they  
12 think are the most appropriate for themselves and for their  
13 businesses.

14                  CHAIRMAN MCINTYRE: Very good thank you. I think  
15 it's appropriate we give the District of Columbia the final  
16 word.

17                  COMMISSIONER PHILLIPS: Thank you Chairman, I'll  
18 be really quick. I just want to say I also agree that this  
19 should be and it is consumer driven in the District of  
20 Columbia. But I will also say -- and I like to say that it  
21 is the Commission, the Public Service Commissions and the  
22 FERC that stands at the intersection of new investment, new  
23 technology, prudent utility investment and what consumers  
24 want, so I'm set to go now.

25                  CHAIRMAN MCINTYRE: Thank you so much and thank

1 you again to all of you. This has been a most illuminating  
2 panel. On behalf of myself, my colleagues and the  
3 Commission I want to thank every one of you for your  
4 participation here today and we look forward to the  
5 follow-up with all of you.

6 We are now schedule for a break until 3: 15 so  
7 with that we are temporarily adjourned and please reassemble  
8 back here at 3:15 for the next panel.

9 (Break 3:04 p.m. - 3:18 p.m.)

10 MR. KATHAN: I'm going to have to ask one last  
11 time, could people please sit down and clear the room. If  
12 you have discussions take it outside so we can get this  
13 panel started. Thank you.

14 So this next panel -- Panel 3 is focused on  
15 issues associated with double compensation, same services --  
16 many of the things we just heard in the previous panel and  
17 we're going to just dive down into some of the more details  
18 on that and there's a series of questions that we'll be  
19 asking.

20 But before I do that I'd like to introduce our  
21 panelists. We have Simon Baker from the CPUC, Michael  
22 DeSocio, from the New York ISO, Mihir Desu from the New  
23 Hampshire Consumer Advocate, Katie Guerry from EnerNOC, Ted  
24 Ko from Stem, Roy Kuga from the Pacific Gas and Electric,  
25 Marco Padula from the New York Department of Public Service

1 and Paul Zummo from American Public Power Association.

2                 Thank you for all being here. We're looking  
3 forward to your comments. I'd like to remind everyone that  
4 we intend to focus this Conference on technical and  
5 operational issues as described in the notice. We will not  
6 discuss other related matters including those that issue any  
7 pending proceedings.

8                 And as I noted earlier, please note that we have  
9 a number of questions and sub-questions to discuss on this  
10 panel, and we'll probably have follow-ups so we may or may  
11 not you know, we have time to get through them all and we'd  
12 appreciate it if the panelists could keep their remarks  
13 brief. And now I'll turn to Kaitlin Johnson who will be  
14 leading the discussion for this panel.

15                 MS. JOHNSON: Okay thanks very much Dave and  
16 thank you to all of you for being here. So we're going to  
17 jump into the first question. As you'll note from the  
18 notice the first question has two parts so I'm going to read  
19 both of them but please feel free to respond just to one or  
20 to both.

21                 So given the variety of wholesale and retail  
22 services, is it possible to universally characterize a set  
23 of wholesale services as the same service? And if it is  
24 possible to characterize the same services, how could the  
25 Commission prohibit a DER from providing the same service to

1       the wholesale market as it provides in a retail compensation  
2       program?

3                 And please just lift your name cards if you're  
4       interesting in responding, Katie?

5                 MS. GUERRY: Thank you very much, thank you first  
6       of all for having us here. We are very excited not only  
7       that you've taken up this topic as an individual panel, but  
8       that you've afforded us a commercial entity, a voice at the  
9       table, so we're very appreciative of that.

10               This is an important -- a topic that is very  
11      important to us. It is something that we address with our  
12      customers on a daily basis. So to answer your question yes,  
13      it is possible to establish a way to determine whether  
14      retail and wholesale programs should be considered the same  
15      service.

16               It is a way that can be sustainable over time and  
17      that can provide guidance on how to best pattern each state  
18      policy and FERC jurisdictional wholesale markets. A key  
19      element of determining what a same service is -- is what is  
20      the dispatch trigger?

21               So more specifically, what is the time of  
22      required performance? Is it the same? If it is then you  
23      have a same service. An example of a same service would be  
24      if you have a net metering customer that gets in the system  
25      where Chairman Haque alluded to this on the last panel, I

1 swear I didn't pay him to mention it.

2 If you have a net metering customer that gets a  
3 fixed energy payment under a retail tariff, for every  
4 kilowatt hour that they've produced, a customer should not  
5 also earn an wholesale LNP payment for producing those same  
6 kilowatt hours, that would be the same service.

7 An example of something that is not the same  
8 service would be if a DER is registered at the wholesale  
9 level to be available in the event of a reliability event --  
10 that customer could also be signed up at the distribution  
11 level to be available in the event of reliability.

12 Now both of those are availability payments for  
13 when there is a reliability event at either the bulk system  
14 or at the distribution level. However, the dispatch  
15 triggers are different. It is when there is a problem on  
16 the distribution system that resource could be dispatched  
17 but there is no reliability event at the wholesale level --  
18 vice-versa that could happen.

19 And so in that instance while it might seem as  
20 though the availability would count as a same service it is  
21 not because there are instances in which they can be  
22 dispatched at separate times.

23 MR. KO: Hi thank you, Ted Ko, with Stem. Thank  
24 you again for inviting me to speak on this panel. I'd  
25 actually submit that the answer to the question is not that

1 you can distinguish what's the same service.

2                 The actual answer to the question is that for the  
3 purposes of preventing inappropriate double compensation,  
4 the question is not whether or not you have the same  
5 service. The question actually from the wholesale market  
6 point of view and from the Commission's point of view, is  
7 whether the compensation you're providing to the wholesale  
8 participation in the wholesale market is for incremental  
9 value that it was provided the wholesale market.

10               So the standard of review, or criteria, is to  
11 decide whether the provision and the providing of the retail  
12 service in some way affects the efficient clearing of the  
13 wholesale market.

14               If they are totally -- completely disconnected,  
15 then it's not the same service and you should be compensated  
16 for the incremental value that you're providing to the  
17 wholesale market.

18               If they are connected -- if for example, the  
19 energy dispatch that you're doing for the -- at the retail  
20 level, is accounted for in the market clearing of the  
21 wholesale energy market, then you're being double-counted  
22 right. But if it's not, if it's a completely separate thing  
23 then you're providing incremental value to the wholesale  
24 market and you should be fully compensated for it.

25               So as a more general principle, the question is

1 not whether it's the same service in the way it's been  
2 defined in for example, the Commission -- the CPUC's  
3 multi-use applications, it's not whether it's capacity or  
4 energy or reliability or ancillary services. The question  
5 is whether the provisioning of those services has an impact  
6 on the efficient clearing of the wholesale market.

7 MS. JOHNSON: Great, Marco?

8 MR. PADULA: Thank you and I very much appreciate  
9 the opportunity to come here and provide some insight as to  
10 at least what we're trying to do in New York. And in New  
11 York we really make a distinction between services that are  
12 providing at the retail level -- that are being provided at  
13 the retail level versus those that are being provided at the  
14 wholesale level.

15 We think that there should never be double  
16 payment for the same service. We think there are ways to  
17 develop dual participation rules and standards to enable  
18 that to happen so that we can maximize the services that a  
19 DER can provide.

20 Are there times when it may look like a DER is  
21 providing the same service? Yes, but when you look at what  
22 the actual service is actually being provided like a  
23 distribution value, it may still have an energy value at the  
24 wholesale level. But there is a two different services  
25 being provided and we want to ensure that compensation for

1 both of those services is available.

2 MS. JOHNSON: Thank you, I'm going to go to Paul  
3 and then I'll go back that way.

4 MR. ZUMMO: Okay, thank you. Paul Zummo with the  
5 American Public Power Association -- we're the trade  
6 association for the nation's 2,000 publically owned electric  
7 utilities and thank you for the opportunity to speak here.

8 I'm going to address, I think, the second part of  
9 your question although I think the answer to your first is  
10 largely yes. It's with some qualifications. I think the  
11 question though really is -- it's not whether or not we can  
12 avoid classifying something as wholesale or retail, but it's  
13 whether or not we should classify an entity or an entity  
14 should be able to be a retailer wholesaler at the same time  
15 or kind of mix and match.

16 I know this was addressed a little bit on the  
17 last panel but I would like to offer some of my thoughts on  
18 this. I largely agreement with Commissioner comments from  
19 Arkansas who said I think the states should make the  
20 determination whether or not there's the ability to mix and  
21 match.

22 Where I would sort of distinguish what he said is  
23 I think he alluded to the fact that it's safe that we will  
24 probably figure it out. And I agree that likely we will  
25 have the technology to figure it out but I think we need to

1 figure it out first before we set the rules because I think  
2 there are a number of questions we have to ask.

3               My colleague from AMP mentioned some of the  
4 problems with some of the issues that small and medium  
5 utilities, especially municipal utilities will have. Some  
6 of the employee issues you just don't have the staff level  
7 to deal with some of the complications.

8               I would think even for large utilities and for  
9 all the mid-size utilities, all the other issues dealing  
10 with the technology. If we're going to have entities that  
11 are kind of going back and forth between the retail and  
12 wholesale markets, I think it necessitates metering beyond  
13 even AMI or at least I think you need to go beyond AMI.

14               You need to have communication channels at the  
15 AMI. The AMI itself will not be sufficient to sort of  
16 distinguish when an entity is acting or a resource is acting  
17 in a, you know, retail capacity or a wholesale capacity.

18               I also think and if we are going to have new  
19 technologies we're going to have to create new resources to  
20 be able to mix and match. I think again, this creates a  
21 burden for the medium and small utilities.

22               But also if I may talk about retail rates -- I  
23 don't know if I'm allowed to talk about retail rates in this  
24 forum. But I think we are entering a new paradigm where  
25 utilities are really looking at new types of rate design

1 constraints, demand charges for residential and then some  
2 light design in the context of the distributed energy  
3 resources like now you have solar, you've got billing, buy  
4 all sell all.

5 And these entities or these utilities as they do  
6 this rate design whether or not it's in the context of DER  
7 or not DER, especially for medium-size, smaller municipal  
8 electric utilities, you know, there are margins for error  
9 when you are doing a loan analysis, when you're doing the  
10 cost of service analysis that set these rates -- there's a  
11 very small margin for error.

12 So what -- so I think the question that we have  
13 to answer before we proceed is really how is that going to  
14 affect these retail rate designs? How is this going to  
15 impact cost recover for these utilities if you enter this  
16 sort of this wild card where you have entities, where you  
17 have resources and can go back and forth between the  
18 retail/wholesale markets.

19 So I think that creates a real issue for cost  
20 recovery and I think that's something we have to consider  
21 before we go forward.

22 MS. JOHNSON: Great, thank you so much Paul, I'm  
23 going to move over to Simon and then go back this way, thank  
24 you.

25 MR. BAKER: Good afternoon and thank you for the

1 opportunity to be here. So in California we've had some  
2 experience with demand response on the retail side trying to  
3 figure out dual participation rules there for demand  
4 response to simultaneously participate in say a capacity  
5 program and receive a capacity payment and then also  
6 participate in an energy-based program like real time  
7 pricing program, critical peak pricing, time of use and so  
8 forth.

9                 And that took us some time to work through the  
10 very complex issues and it can be very contentious but you  
11 can figure out ways to parse out and demonstrate to the  
12 decision-maker that these really are distinct services that  
13 are being provided.

14                 Now we have about 800 megawatts of storage that  
15 have come online or are pending approval. In California in  
16 the past four years so we're really kind of being pushed to  
17 look at the opportunities for storage commission -- our  
18 Commission looked at the possibility of creating value  
19 stacking opportunities for storage and that -- what led us  
20 to embark on this adventure of determining the multi-use  
21 application rules for storage participation in various  
22 different domains.

23                 So it was really important for us to define a  
24 number of different domains. We had already established  
25 three grid domains. The customer -- the distribution

1 interconnected them, the transmission connected which was  
2 through our target setting exercise that we've had for some  
3 time.

4 And then we added to those domains the wholesale  
5 market and the resource adequacy program which is a PUC  
6 jurisdictional program to provide capacity and reliability.  
7 And so then within that we also defined 20 distinct services  
8 with multiple services within each one of those domains.  
9 And those services were then further categorized as  
10 reliability and non-reliability services.

11 And so for us, the crux issue here about whether  
12 or not something is considered to be a single service,  
13 really our priority was to focus on those reliability  
14 service in making sure that we had a broad framework for  
15 rules related to that worked out.

16 So where we got to with that is that classifying  
17 them as reliability and non-reliability service helped us  
18 discern which combinations might be considered the same  
19 service and those would be potentially where you have two or  
20 more reliability services that are trying to be provided at  
21 the same time.

22 But there are examples for example, resources  
23 that can provide resource adequacy and also simultaneously  
24 participate in wholesale markets and receive payments for  
25 energy and so forth where those are both reliability

1 services and then it's also allowable.

2 We also recognize that there are ways to, as was  
3 commented earlier, to parse this on a time basis. You can  
4 time differentiate the resource so that you can get multiple  
5 reliability services from the same resource. And we also  
6 recognize the possibility of capacity differentiated as  
7 well.

8 So our decision really is a very high-level  
9 framework but it's the building blocks from which to have a  
10 structured conversation to then do the necessary and hard  
11 work of working out the implementation details. And we have  
12 a working group that's established right now that will be  
13 coming up with a report by August of this year that's going  
14 to work out a lot of the tougher implementation details --  
15 things like compensation for services, working out things  
16 like incrementality -- how do you determine incrementality?

17 And insuring that we have performance contracts  
18 that are adequately developed -- the metering measurement  
19 and settlement issues that are so important to figure out,  
20 enforcement provisions and any other changes that might be  
21 necessary to the PUC or CAISO jurisdictional rules.

22 So that's kind of been our approach. I can talk  
23 more later in further questions.

24 MS. JOHNSON: Thanks so much Simon, Michael?

25 MR. DESOCIO: Thank you, Michael DeSocio from New

1      York ISO. So in New York we have already implemented  
2      through our demand response programs -- a way for resources  
3      to participate both in the New York ISO's wholesale market  
4      as well as participate in a transmission owner utility based  
5      DER program.

6                Now we are able to do this because these are  
7      reliability-based programs, they're not economically-based  
8      and so they are requested as necessary by an operator. We  
9      can quantify what hours we asked for each resource. We can  
10     ask the utility to cooperate -- what hours the utility asks  
11     for the resource and then in the back-end make sure that  
12     we're not double-paying that resource because the utility is  
13     paying for it or the ISO is paying for it and we can unwind  
14     all of that in the settlement because we have all of that  
15     information after the fact.

16               But when we think about how we deal with DER's  
17     and we're thinking about involving the market models for  
18     DER's and letting DER's participate in multiple wholesale  
19     service regimes, that changes. And it becomes a little more  
20     difficult to just come up with a way to say for sure this  
21     service is indeed a wholesale service or a retail service.

22               And I want to give you an example of that. So  
23     you have a utility that has a DER on its distribution feeder  
24     and utilities ask that DER to help it out because the  
25     distribution feeder was loaded up and it needed relief.

1               That DER is now providing energy to unload that  
2 distribution feeder. That energy now meant that the ISO  
3 didn't need to dispatch it incremental megawatts of energy  
4 from another plant on the system.

5               How we deal with that service, or which service  
6 is causing what becomes very complicated to try to unwind.  
7 A path forward that New York is focused on is ancillary  
8 services just because it's clear for us.

9               It's clear that New York ISO is the one that  
10 procures the ancillary services, the operating reserves and  
11 the regulation service for maintaining the transmission  
12 system. And in doing so it's clear that an entity -- a DER  
13 that is providing that service can be paid for that service  
14 from the ISO but when we call on that resource to provide  
15 energy for say -- for example, depending on the program it's  
16 registered in that energy compensation may come from the ISO  
17 or may come from the retail program.

18               Now we have a program today that kind of does  
19 this but for different reasons. It's our demand side  
20 ancillary service program where we allow distributor  
21 resources to sell ancillary services but we don't pay that  
22 resource for the energy it's providing because it's a  
23 curtailment service.

24               We think of it more as reducing the load and  
25 therefore avoiding procuring the energy. But we already

1 have that kind of set-up. I think we can extend some of  
2 those kinds of concepts to DER as we deal with the  
3 dispatchable way.

4 So these are some of the things that we're  
5 thinking about in New York and we are collaborating heavily  
6 with our utilities and with the Department of Public Service  
7 and we're testing these out through pilot programs so the  
8 ISO is executing a pilot program to try to figure out is  
9 there a natural decoupling or is there a natural coupling  
10 and where is that?

11 And we're trying to learn some of that with these  
12 kinds of programs.

13 MS. JOHNSON: Great, thank you Michael, Mihir?

14 MR. DESU: My name is Mihir Desu, I'm actually  
15 with a firm called Strategen and we represent a number of  
16 consumer advocates across the country. Today I'm here  
17 representing some work that we've done with the New  
18 Hampshire Office of Consumer Advocates on DER compensation.

19 I think it's an important distinction to make  
20 between services in compensation for different services  
21 because what we have at a lot of times on the retail level  
22 is we have an aggregation of services that are then within  
23 the rate design process, compensated together.

24 And you have programs like net metering which in  
25 a sense are compensating DER's for a number of services

1       including energy as well as some other services that they  
2       provide to the grid.

3                   So on the wholesale level when you make these  
4       distinctions and I think I agree with my colleague here from  
5       EnerNOC on having these services distinguished between  
6       dispatch signals, whether they be simultaneous or you know,  
7       at different time periods.

8                   But I think what's important is determining how  
9       these services are compensated and allocation factors for  
10      not just DER's as a generator but also DER's as a load and  
11      how they impact the loads.

12                  And one thing that we've done with New Hampshire  
13      Office of Consumer Advocates is looked at a model where  
14      we're looking at a VDR Tariff similar to what you have in  
15      New York where we're taking allocations from the wholesale  
16      market and applying it to how load is allocating those  
17      costs.

18                  So for example, Henry mentioned earlier that in  
19      ISO New England, capacity is allocated on a one coincided  
20      peak factor right? So they look at the coincided peak in  
21      the previous year and allocate capacity costs accordingly.

22                  So there -- I think are simpler ways for DER's to  
23      be providing value to the grid than just operating as a  
24      direct participant in the wholesale market. And if we want  
25      to provide a platform for a broad set of participants to

1 participate in these wholesale markets, we need to reduce  
2 the complexity of how we're opening up the grid to DER's.

3 MS. JOHNSON: Great thank you, I guess I'll  
4 return to Katie.

5 MS. GUERRY: Thank you I just wanted to reply or  
6 respond to a couple of comments. The first is the topic of  
7 incremental value that Ted had mentioned as well as some of  
8 the other mechanisms to differentiate between services I  
9 don't think is inconsistent with differentiating based upon  
10 what the trigger signal is.

11 It is very similar to what Commissioner LeFleur  
12 was describing in the last panel in terms of value stacking  
13 where we had traditionally thought of capacity energy and  
14 ancillary services as products that energy resources could  
15 provide.

16 It has expanded much greater than that. There is  
17 a much larger stack of value streams that DER's can provide.  
18 And so understanding the distinction between them is very  
19 important. I also wanted to address the concept of DER's in  
20 and out sort of willy-nilly from wholesale and retail  
21 markets because it was mentioned here -- it was also  
22 mentioned on a panel earlier today.

23 I think that's sort of missing the point in terms  
24 of allowing DER's to have opportunities for dual  
25 participation. The idea here is to have complimentary

1 programs, not ones that went at odds with each other.

2                   And so if you prohibit dual participation, I  
3 actually have a greater concern that it's an either/or in or  
4 out of those markets perhaps on a yearly basis in terms of  
5 where those opportunities are which is not great for system  
6 planning.

7                   Again, when you define about same service in a  
8 way that both the wholesale and the retail market  
9 participants understand what that is, you can then design  
10 programs that are complimentary to one another.

11                  As the representative from New York addressed on  
12 the last panel state Commissions are not in the business of  
13 creating new programs that will cause their ratepayers to  
14 pay more money. And so if we at the wholesale level define  
15 what a same service is -- and this is what it will, you will  
16 trip being a same service if you violate this criteria by  
17 developing a program at the retail level -- that allows  
18 coordination and development of programs that complement  
19 each other rather than continuing to butt heads with each  
20 other, thank you.

21                  MS. JOHNSON: Great, thank you. I'm going to  
22 move to Roy.

23                  MR. KUGA: Thank you, Roy Kuga, PGNE, thanks for  
24 the opportunity to participate today. To the point that  
25 Katie made I get it's important to recognize that products

1 and services can be provided both wholesale and retail and I  
2 think you heard I agree with the panelists about dealing  
3 with double compensation.

4                 However, I think when you look at the physical  
5 aspects of what the products and services are versus the  
6 financial versus the operational considerations as well as  
7 the jurisdictional issues, you get into the complexities.

8                 And so while product may appear complementary or  
9 maybe even the same product, when you get into settlements  
10 or operations and even under jurisdiction it's very  
11 challenging. In California we have a demand response  
12 program where DER's and behind the meter storage can  
13 participate for a reduction in load shifts and aggregation  
14 is working.

15                 Again, it's taken a lot of time for collaboration  
16 and coordination amongst multiple stakeholders but it is a  
17 successful program. But when you look at a service like  
18 reducing demand -- there are intended elements related to  
19 settlements.

20                 There is what is a charge debt and today in  
21 California the demand response program is charged all at  
22 retail rates, there is no bypass of the retail rate through  
23 wholesale charging. And it works. And people are clear  
24 with the products and I think we need to look at ways in  
25 which we can develop programs and leverage what already

1 exists to further implement multiple uses without double  
2 compensation or retail rate bypass.

3 MS. JOHNSON: Great thank you. I'm going to move  
4 to Ted and then Marco.

5 MR. KO: Yeah thank you, Ted Ko with Stem. I  
6 wanted to also respond to some of the other panelists. In  
7 the overall beginning question for this first question was  
8 more around can you make broad definitional statements  
9 around same service.

10 And I think to highlight was Simon just said  
11 about identifying 20 different services that these DER's can  
12 provide I think that demonstrates is that there's no way to  
13 make blanket statements about this -- about what is and  
14 isn't double compensation in terms of at the broad service  
15 level.

16 You can't say you're providing this one and this  
17 one in all cases on all grids -- that's going to be double  
18 compensation or that isn't going to double compensation.

19 So I think that just goes to show that the --  
20 it's almost impossible to make broad statements or broad  
21 prohibitions or broad rules about these and the other point  
22 being that what people have highlighted here is when we are  
23 talking about compensation and settlement it's an accounting  
24 question -- it's not a technical question. It's not a  
25 physical question, it's not an operational question, and

1 it's not a reliability question. It's compensation right?  
2 And so all of these things if there are  
3 situations where a resource is going to be inappropriately  
4 double compensated by whatever rules we define as  
5 inappropriate, the solution should be accounting solutions.  
6 They shouldn't be broad in or out, you can or can't do this,  
7 or you can or cannot participate in this market -- it should  
8 be accounting solutions first to net out the inappropriate  
9 double compensation without taking the participant all the  
10 way out of the market.

11 And so I think just in general from the  
12 Commission's point of view, from the ISO market's point of  
13 view, we're always looking to increase participation as much  
14 as possible and so they should be allowing as much  
15 participation as you were providing incremental value and  
16 doing the accounting to make that -- make that possible  
17 without just kicking people out of the markets.

18 MS. JOHNSON: Great, thanks, Marco?

19 MR. PADULA: Marco Padula, New York DPS. I just  
20 wanted to respond to something Katie said and just make sure  
21 I understand that the dispatch trigger -- I hope you didn't  
22 mean restricts the DER from receiving other values?

23 For example if a DER is being dispatched to  
24 provide T&D value then between 4 and 6 p.m. Monday through  
25 Friday in the summer time, it doesn't mean that it can't

1 also get an environment value if it's a clean resource or  
2 also the energy value. I think, and maybe you can just  
3 clarify -- the trigger -- the dispatch trigger that you were  
4 referring to perhaps was to avoid the double counting of the  
5 same service, I think, but if you could just clarify that  
6 for me that would be helpful.

7 MS. GUERRY: Absolutely correct, yes I apologize  
8 if there was any misinterpretation.

9 MR. PADULA: Okay, thank you.

10 MS. GUERRY: I apologize if there was any  
11 misinterpretation. Again the concept that we are looking at  
12 with our customers and it's unique for every customer, is  
13 the ability to stack those values on top of one another  
14 rather than separate them out.

15 MR. PADULA: But then when you get into the  
16 question of are you providing the same service to two  
17 different entities, they are a wholesale and a retail, then  
18 perhaps a dispatch trigger would be the -- the rule that  
19 says you're only going to get the energy from this entity  
20 versus this other entity for example.

21 MS. GUERRY: Correct.

22 MR. PADULA: Thank you.

23 MS. JOHNSON: Great, thank you, Simon?

24 MR. BAKER: Yes, thank you. Just to add a little  
25 bit to what Ted was saying. You know if you look at those

1    20 grid services that we defined initially I mean there a  
2    myriad of permutations and combinations of those.

3                 And so from a practical standpoint we see the  
4    details being worked out on kind of a case by case basis and  
5    that's going to be driven by what comes forward out of the  
6    marketplace and where they see potentially the greatest  
7    potential for innovation and for cost effective use cases.

8                 So you know, for example, we already have PG&E  
9    has a contract with Tesla for a 20 megawatt project to do  
10   some distribution deferral and they will also likely be  
11   seeking participation in a resource advocacy markets and  
12   other markets as well.

13                 So that's going to be the driver for us is to  
14   work through those issues. We're seeing a lot of interest  
15   in the distribution deferral services area and this is  
16   something new for us in California. I think New York was  
17   kind of an early adopter with the Brooklyn Queen's projects  
18   and I think there are other projects out there as well.

19                 We're just getting started with that. The  
20   utilities are beginning to do pilot projects for DER  
21   deferrals of traditional distribution grid upgrades, but we  
22   have taken some initial steps to define four different grid  
23   services for that and within that process, incrementality  
24   has been one of the toughest nuts to crack.

25                 But really the principal that we ultimately came

1 up with was that as long as the DER provider could  
2 demonstrate that what they're providing is over and above  
3 what they may already be being compensated through another  
4 project and really the onus is on them to demonstrate that,  
5 then there should be ways to work this out.

6 MS. JOHNSON: Great, thank you, Roy did you want  
7 to respond?

8 MR. KUGA: I just wanted to add the comment that  
9 we're very supportive of the multi-use and the stacking of  
10 values and we're supportive of market structures that can  
11 enable that. But it's important to understand that there  
12 are going to have to be protocols and rules and we have to  
13 establish what primacy is.

14 Reliability for the ISO market, reliability for  
15 distribution grid, both reliability and we're going to have  
16 to make sure that people understand which comes first when  
17 push comes to shove when they're being called  
18 simultaneously.

19 And how do we deal with the complexities of  
20 potentially instruction to the same device to discharge from  
21 one entity and to charge at the other entity and if the  
22 meter reads zero, how do we deal with that?

23 So there are a lot of issues in terms of  
24 settlements, primacy -- that are being worked out. I think  
25 there's a great dialogue going on with the stakeholders

1      represented here. Some of the stakeholders here are very  
2      active including with the DIAS, thank you.

3                    MR. HERBERT: Along those lines I want to go back  
4      to something that you said earlier Mike and that was with  
5      respect to sort of demand response resources in New York  
6      both providing local reliability services to the utility but  
7      then also participating in the NYISO markets as well. And  
8      you said at the back end there's sort of an assurance that  
9      makes sure that the NYISO isn't paying the resource and the  
10     utility is paying the resource at the same time, that that's  
11     not happening and so I'm curious.

12                  I guess can you just give us a little more detail  
13     about that process and how you decide who pays the resource  
14     and when those coincident dispatches actually occur?

15                  MR. DESOCIO: Sure, so there are -- there are a  
16     few programs but the two that I'll reflect on are the  
17     special case resource program that the ISO administers and a  
18     local demand response program that kind of system  
19     administers.

20                  And the resources can enroll or customers can  
21     enroll in both. We have to keep track of that so we need to  
22     understand that that's occurring. So up front we need to  
23     have some accountability up front about where these  
24     customers are enrolled.

25                  Then when an event occurs, the utility , Con-ED

1 and New York ISO coordinate the call -- so it may be that  
2 the New York ISO issued a call and that affected some of the  
3 response in the Con-Ed Program but because we initiated the  
4 call, we're compensating those resources for that call.

5                 If at a similar situation Con-Edison issues a  
6 call, then we need to figure out how to dissect when the  
7 Con-Edison call came into place and whether there's overlap  
8 and then there are specific rules about which called first  
9 and what the reliability issue was that was being dealt with  
10 to unwind who pays for it.

11                 So at the end of the day I think really what  
12 we're talking about is something similar and it's more about  
13 not preventing DER from providing services, but rather  
14 figuring out where the payment should come from -- I think  
15 that's what we're all here to talk about.

16                 And, you know, and I think these issues are  
17 fairly complicated as Simon pointed out. When I get worried  
18 is when I hear about that there's a simple rule to say well  
19 when that service is invoked, then I know who should pay for  
20 it or I know that that service can be provided.

21                 And where that becomes more problematic is in  
22 capacity markets where we're buying long-term availability  
23 and when we purchased that there's some expectation that  
24 that asset is going to be available to the ISO to manage  
25 reliability.

1                   At the end of the day this is all about  
2 reliability and so when we think about this it's not that  
3 we're trying to put up obstacles for paying for the same  
4 service, it's more how do we make sure that the rules are  
5 clear and everybody understands them both the retail side  
6 and on the wholesale side so that when there is a need on  
7 the grid, the operators aren't questioning who gets access  
8 to that asset, because that's the last thing that we need on  
9 the grid.

10                  We can't have utility operators and ISO operators  
11 arguing about whose asset it is. It needs to be very clear  
12 up front. Where I started was -- I think ancillary services  
13 -- at least in New York, could be a fairly clear way to  
14 start that trial because ancillary services the operating  
15 reserves and the regulation service are services that the  
16 ISO currently procures.

17                  And so that could be an area that if you're  
18 looking to draw a bright line you might be able to draw one  
19 in New York just because of the way the New York market is  
20 structured and how we procure it.

21                  But I think generally that's not going to be true  
22 and it's going to be difficult to unwind this without some  
23 detailed discussions about how we're going to execute it,  
24 who's responsible for what part of the grid that asset was  
25 called on for, and then if there are ancillary services

1 being provided just because that asset was called on, which  
2 deferred needing to deploy other assets, how does that cost  
3 shifting and cost sharing occur?

4 So there's all of those issues that need to be  
5 dealt with and those are complicated and it's difficult to  
6 say that we're going to deal with them in a broad brush  
7 approach just because these programs are different  
8 everywhere.

9 There's several different retail programs that we  
10 would need to coordinate with and those programs are  
11 changing. So the best thing I can offer is that the ISO's  
12 need to collaborate with their state agencies and with the  
13 utilities to understand what these programs are so that we  
14 can develop rules and bring them forth to you all in a  
15 responsible way and in a way that we all understand what  
16 they are and can agree that the service being provided is  
17 being paid one way or another.

18 MS. JOHNSON: May I ask one follow-up Michael,  
19 when you look at that program to date, do you have a sense  
20 of the general amount of resources that were required both  
21 from NYISO and from Con-Ed to do that -- those calculations  
22 in the time that there was a call for those?

23 MR. DESOCIO: I don't have that number.

24 MS. JOHNSON: Okay.

25 MR. DESOCIO: But we can certainly file that in

1 post-Conference comments.

2 MS. JOHNSON: Thank you. Let's see so I think  
3 we'll move on to Mihir and then we'll go down the line,  
4 thank you.

5 MR. DESU: I think one thing that we need to keep  
6 in mind as we're having this conversation is what is the  
7 ultimate goal of the DER aggregations? Is it to compensate  
8 DER's -- no, right? The ultimate goal is to either reduce  
9 or avoid wholesale system costs to customers or to the  
10 extent that, you know, we're increasing system costs is it  
11 commensurate with the reliability gains that we're giving to  
12 the system?

13 And I think sometimes that picture can be lost as  
14 we're getting into the nitty-gritty details. So you know,  
15 one thing that we're looking at is how you can actually keep  
16 that ultimate goal in mind when you're looking at these  
17 different services that you're providing.

18 And you know, one thing that you can do is look  
19 at how, you know, like Michael was saying, the differences  
20 between the services provided and the actual compensation  
21 mechanisms, how they're delineated. And like Michael said,  
22 that's kind of what we're trying to get at here today is  
23 trying to distinguish between the different services and the  
24 compensation mechanisms.

25 So one thing that we've been looking at is kind

1 of from the retail perspective how are wholesale costs  
2 allocated to load serving entities and how can DER's offset  
3 that?

4               And is there a simpler way to do that than having  
5 DER's participate as a direct participant in the market?  
6 You know, different ISO's have different ways of calculating  
7 their reliability as well as, you know, vertically  
8 integrated utilities have different methods.

9               Do you look at the top 100 hours to see if you  
10 know, you're having reliability impacts or do you look at  
11 the top 50 or what not? And so when you have these  
12 different regulatory constructs how do you ensure that DER's  
13 are given a simple platform to actually provide these  
14 reliability benefits right?

15               So if you're -- if you're just looking at like  
16 the top five or the top ten, or whatever it is, how do you  
17 ensure that the DER's are available during that time and you  
18 know, like for example, ISO New England and PJM have  
19 different penalty factors.

20               And if you just have like a water heater a  
21 thermostat as a residential customer, are you really going  
22 to read up on all the penalty factor calculations? Do you  
23 even need to do that as a really small resource? Why should  
24 we have the same regulatory construct around the small  
25 resources as like a large 100 megawatt generator?

1                   So I think, you know, coming to those questions  
2 as well is pretty important.

3                   MS. JOHNSON: Great, thanks, so Katie, then we'll  
4 go down the line and then we're going to move on.

5                   MS. GUERRY: Thank you and I apologize, I have to  
6 follow the rules. Katie Guerry from EnerNOC Now and Enel  
7 Group company. I wanted to comment on a couple of items  
8 that have come up and I apologize some of it encroaches on  
9 the next questions.

10                  The first is Michael in response to your question  
11 regarding the two programs in New York. I think it's  
12 important to make sure that we're differentiating between  
13 capacity availability payments which is I'm going to pay you  
14 to be there versus the energy payment which is this is what  
15 you get paid for what you did when I called on you.

16                  And so in that sense, this is what I was talking  
17 about before in terms of a distribution and a bulk system  
18 reliability DER program -- reliability program. There could  
19 be an overlapping dispatch -- there may not be but there  
20 could be an overlapping dispatch.

21                  And in that event they should not get two energy  
22 payments -- that would be double compensation because in  
23 that situation they should not -- they injected but there's  
24 only one energy value for whatever they injected into the  
25 system.

1                   But they should still both get both of those  
2 availability payments because they were available when  
3 needed. In terms of the difficulties that I'm hearing here  
4 is I'm hearing that it's difficult to figure out the  
5 economics, the accounting, even the dispatch protocols, but  
6 I'm not hearing anything that indicates that it's  
7 impossible.

8                   In fact what we're hearing from California is it  
9 does require a lot of work but it is something that with all  
10 market participants can be figured out. And so I think that  
11 looking at things -- both the accounting as well as dispatch  
12 protocols, asking the ISO's to develop them in conjunction  
13 with the distribution utilities in their system, one would  
14 go a long way -- appliance filing say in coming back how  
15 would you establish the distribution protocols -- the  
16 dispatch protocols.

17                  Something else I wanted to comment on just  
18 because it came up here and it was something that was  
19 addressed on an earlier panel which is value of aggregators  
20 and I think that what we're talking about here is one of --  
21 just one of because there are multiple values of aggregators  
22 but one of the values of aggregators of DER resources would  
23 be that we bring together multiple customers who all have  
24 multiple capabilities.

25                  It is our obligation then to optimize off of

1 those capabilities knowing that we have multiple customers  
2 and multiple programs that we are enrolling them in. So the  
3 overlapping and differentiating capabilities of the  
4 customers in our portfolio -- that's our job to optimize off  
5 of that.

6 No different than say a retail supplier who has  
7 pipeline capacity or has to buy gas off of the spot market.  
8 You're optimizing what you have available to you.

9 So the final thing I wanted to comment on is I  
10 think you just brought up in terms of what is the ultimate  
11 goal of what we're trying to do here? And I think that  
12 that's a really important question.

13 The goal here is not to jam DER's into one market  
14 or the other because the reality is they're coming. And so  
15 it's not to make it easier -- the objective for me here is  
16 how do we capitalize on the reliability that these resources  
17 make available at both the distribution and the wholesale  
18 level?

19 This is -- we should be coming together to devise  
20 a system, a set of rules that allows them to provide the  
21 reliability benefits wherever they are valued most -- at  
22 that time whether it is at the wholesale or the distribution  
23 levels.

24 Again, I just thought I wanted to reiterate that  
25 the goal here is how to I think not whether to, because they

1 are coming and so we want to make sure that we capitalize on  
2 the reliability value that they bring.

3 MS. JOHNSON: Great, thank you Katie, Ted?

4 MR. KO: Ted Ko, with Stem. I think Katie just  
5 said most of what I was going to say anyway. But I do want  
6 to look at it from -- and this shows up in a lot of Stem's  
7 comments in these situations is -- we're here speaking about  
8 this from the Commission's viewpoint of the goal of the  
9 Commission in this is -- in my mind, ultimately, to increase  
10 participation in the markets.

11 It's like getting these resources that are there,  
12 the more participation you get in the markets, the more  
13 efficient outcomes you get, the lower the costs for  
14 everybody. And so that really is the ultimate goal and if  
15 you want to remove barriers to that participation where this  
16 was asked actually on the last panel -- you know, are these  
17 double compensation questions, are these opt-out type  
18 provisions or prohibitions, would they be a barrier -- and  
19 clearly yes.

20 It would be a barrier if you had these hard  
21 prohibitions on this case so to go with again with what  
22 going off of what Simon said earlier about a case by case  
23 basis, I think that's the approach that we should be taking  
24 here in general about these rules is like the default is we  
25 allow these resources to participate.

1                   We evaluate on a case by case basis in which we  
2 have to not curtail their participation but, you know, cut  
3 down the compensation related to that participation if  
4 that's based -- if there's some inappropriate double  
5 compensation going on.

6                   And it's only inappropriate from FERC and from  
7 the Commission's and the wholesale market's point of view if  
8 it affects the wholesale market right? If it's some double  
9 compensation for some other reason that has no effect on the  
10 clearing price of the wholesale market, then it's not under  
11 the Commission's purview to restrict or make rules about  
12 that.

13                  It's under -- if the local utility would prefer  
14 that you not get double compensated, they can take it out of  
15 their side of the program rather than the wholesale market  
16 taking it out of their side of the compensation right?

17                  So I think there's very clear jurisdictional  
18 questions, jurisdictional lines around the transaction where  
19 the Commission would make the rules on the compensation  
20 that's provided for the wholesale service and whether or not  
21 to discount that or reduce that based on double compensation  
22 versus if there's double compensation that's going on in the  
23 retail side that somehow is distorting the efficient outcome  
24 of the retail market then it's the states and the local  
25 authority's role to net that out and do the accounting and

1 pull that out of the system.

2 MS. JOHNSON: Great, thank you, Roy?

3 MR. KUGA: I just wanted to address a comment

4 Katie made. First of all I would just say that we see the  
5 value of aggregators and the role that they play and it  
6 helps certainly realize greater GHG reduction, reduce costs  
7 for a system, improve renewables into the grid.

8 So we see a lot of value and they really do  
9 enhance reliability. A comment that concerned me was we're  
10 going to optimize to see where the value is greatest. And I  
11 would say when we deal with reliability, you know, the value  
12 is uncompromising in terms of what is established as the  
13 primary reliability need.

14 And we cannot sacrifice that primary reliability  
15 need because there's a greater value for reducing your  
16 demand charge and that's the concern I have with the  
17 comment.

18 MS. JOHNSON: Great, thank you, Marco?

19 MR. PADULA: Yeah, Kaitlin, you asked if we had  
20 any information about the overlap of the program calls. I  
21 happen to have some historical information from 2011 to  
22 2015. The Con-Edison Distribution Load Relief Program and  
23 the ISO SER Program were called in Zone J for a total of 236  
24 hours.

25 And of those hours, only 14 were their overlap

1 calls. So for that period of time, 6% of the time there was  
2 an overlap with the ISO call. But that just -- in my  
3 opinion, shows you how there is a, you know, a different  
4 service being provided that the distribution utility relies  
5 upon versus what the wholesale bulk system is relying upon  
6 as well.

7 MS. JOHNSON: It's really helpful and I'm curious  
8 given that there was that potential for overlap how many  
9 resources in terms of personnel were required to monitor or  
10 to assess that because one of the concerns was how many  
11 resources would be required of the utility or an ISO to deal  
12 with that -- do you have any sense or that wouldn't be  
13 numerical necessarily?

14 MR. PADULA: I know that the Con-Edison folks who  
15 run the program, it's not a very large group of individuals  
16 -- probably a handful that are running the demand response  
17 programs.

18 MS. JOHNSON: Okay.

19 MR. PADULA: And I'd like to say how many are on  
20 his side but it's not a huge group of people that are  
21 necessary to do that kind of monitoring.

22 MS. JOHNSON: Great, well this is actually very  
23 fortuitous because the second question addresses this in  
24 particular. We have already discussed the first part of it  
25 but I'd like to just read it and then publish your responses

1 more to the affected part of it.

2 So in Order 794 the Commission states that an RTO  
3 or ISO may place appropriate restrictions on any customer's  
4 participation in an aggregation of retail customers  
5 aggregated response bid to avoid counting the seam demand  
6 response more than once.

7 How have the RTO/ISOS effectuated this  
8 requirement and otherwise insured that double response  
9 participation in their market is not being double counted?  
10 It's very tough to provide a bit but the second part of the  
11 question is what would be the advantages or disadvantages of  
12 taking the same approach with DER aggregations that the  
13 RTO/ISOS have taken with demand response instead of the  
14 approach proposed in the NOPR for preventing double  
15 compensation of the same service?

16 Alright so let's start with Simon and then  
17 Michael.

18 MR. BAKER: Yeah, thank you. So since 2012  
19 California has painstakingly implemented rules to allow for  
20 direct participation of third party demand response  
21 resources in CAISO markets.

22 And we've done that to foster innovation and  
23 market competition and hopefully grow the demand response  
24 resource in California which we have not seen grow a lot in  
25 California and that's one of our objectives.

1                   And so we've done that through a combination of  
2 rules relevant to the CAISO participation model, mainly,  
3 approximate demand resource and RDRR and then our own direct  
4 participation rules which we call Rule 24 and 32 and these  
5 rules are set up to insure that there's no double counting.

6                   So the third part DER resources, they register at  
7 the CAISO under PDR or RDRR and then they have to comply  
8 with the CAISO's eligibility requirements which involve  
9 things like being located within one sub-lap, serving --  
10 being served by only one load serving entity and so forth.

11                  And then the CAISO does a review that ensures  
12 that the customer counts in the resource are not registered  
13 in other DR resources. In this pretense, the same DER  
14 resource from being paid twice for the same load reduction.

15                  The CAISO also notifies the LSE of a pending  
16 resource registration and then the LSE must review the  
17 registration to verify that the accounts are customers that  
18 they serve and if the LSE is a utility, the utility is also  
19 then required to ensure the accounts are not in a  
20 utility-operated DER program.

21                  Again, to prevent double payment and they do this  
22 -- they're required to do this review under the PUC's Rule  
23 24 within specified timeframes so that this can move along  
24 expeditiously. And if the CAISO discovers that there's an  
25 account that's been registered with another resource, it's

1 held up until that gets cleared up and then there are rules  
2 for settlement using baseline methodologies and so forth to  
3 ensure that there's a, you know, an incremental value that's  
4 being offered through that transaction.

5 So that's kind of how those rules are set up in  
6 California.

7 MS. JOHNSON: And one follow-up related to our  
8 earlier discussion as well. When you're looking at the  
9 multiple use project and you're thinking about the fact that  
10 those 20 services may have to be assessed on a case by case  
11 basis -- do you think that there's going to be a higher  
12 administrative cost than you saw with what you needed to do  
13 for demand response?

14 MR. BAKER: I don't think so. There's going to  
15 be a high administrative cost for that let's say -- first  
16 use case that comes through the pipeline that's of interest  
17 to the market.

18 MS. JOHNSON: Okay.

19 MR. BAKER: But then once that's been higher,  
20 once that's been you know, hammered out, then you know, that  
21 can grow and flourish and other market participants can use  
22 that same model.

23 MS. JOHNSON: Okay.

24 MR. BAKER: Until such time as some new use case  
25 or combination comes along and then we'll be, you know, back

1 to square one having to go through the painstaking process  
2 of working out all the specific details of that use case.

3 MS. JOHNSON: Okay, great, thank you. Michael?

4 MR. DESOCIO: Thank you Kaitlin. So to your  
5 question about whether or not the approach that we employed  
6 for DR could also be extended to DER I hesitate to suggest  
7 that that would be a way forward and the reason is that the  
8 demand response programs that we do this for -- programs  
9 that have long notification times, they're manually  
10 activated, there's lots of time for operators to coordinate  
11 the call, understand and communicate between the utility  
12 and the ISO on what's happening and why the calls are being  
13 executed.

14 And then there's a long lag time at the end to  
15 get all the data from the aggregators and the demand  
16 response providers to actually facilitate the settlement.

17 If we were to do this for DER's in New York were  
18 visiting DER's are going to participate more as a  
19 dispatchable resource just like a traditional generator --  
20 now we're talking about dealing with coordination  
21 implications between the ISO and the utility and you'd have  
22 to come with ways to automate a lot of that.

23 I'm not suggesting it's impossible but certainly  
24 it's challenging and I think a better approach that the ISO  
25 has right now in place for how we manage the fleets with the

1       utilities is an approach where the utilities in the ISO were  
2       together and if the utility has a need for dispatching that  
3       resource, they can reach out to the ISO and ask for that  
4       resource to be brought online.

5                   So that's, you know, a local issue they can use  
6       the resource -- now that there's coordination between the  
7       ISO and the utility that communication is taking place, the  
8       ISO understands why the resource is on and the compensation  
9       and cost allocation is all dealt with in the wholesale  
10      program.

11                  I think when you can start to think about ways to  
12       expand that to retail program -- other retail program uses  
13       but I think as Simon suggested, it's going to take that  
14       first use case to really think through all the interactions  
15       and who should be paying, where should that payment come  
16       from.

17                  But once that's done I think, you know, that  
18       process could be then automated and the protocol solidified  
19       so that the operators understand who's doing what and when.

20                  MS. JOHNSON: Great and thank you, Katie?

21                  MS. GUERRY: Sorry, Mr. Desu, if you would like  
22       to go first.

23                  MR. DESU: I just wanted to respond to one  
24       comment that Ted had made about, you know, increasing the  
25       amount of competition leading directly to reduce costs. I

1 think, you know, there can be times where that's not the  
2 case especially with DER's when if you have large metering  
3 and telemetry requirements that especially those costs are  
4 borne on ratepayers, you might -- that might not be a  
5 sufficient condition because those metering and telemetry  
6 costs may, you know, out cost the value that the DER's are  
7 providing.

8                 Like in -- as an example, you know, this is a  
9 vertically integrated example, but I used to work at  
10 Portland General Electric and one thing we were trying to  
11 figure out with our net metering customers is how to  
12 monetize the rec values and in order to do that you need to  
13 have generation meters on each of the solar systems.

14                 And the costs of those meters outweighed any  
15 value that we could have ascertained from the recs, so just  
16 one comment there. But going back to your question about,  
17 you know, the different models that DR's can provide and is  
18 there a similar model to demand response that DER's could  
19 participate in.

20                 And I think there's a couple things that have  
21 been implemented lately in PJM and ISO New England -- you  
22 know, the pay performance rules that can really detract from  
23 DER's actually participating in the market.

24                 And I know this is not the exact forum for that  
25 but it just goes back to that complexity about how you can

1 have DER's participate in the system and if they are direct  
2 participants, these pay for performance rules really  
3 necessary?

4                 And you know, one thing that DER aggregations can  
5 provide in some cases is non-wire alternatives. And, you  
6 know, FERC Order 1000 has kind of jump-started this process  
7 but in a lot of the ISOs you don't necessarily have a  
8 valuation criteria looking at how a non-wire alternative  
9 which in a lot of times can be a DER aggregation can cost  
10 effectively compete with a transmission alternative.

11                 And I think FERC can have some authority here to  
12 kind of implement that process where you're actually having  
13 a transparent process to look at the differences between  
14 these two resources.

15                 MS. JOHNSON: Thank you, Katie?

16                 MS. GUERRY: Katie Guerry for EnerNOC, excuse me.  
17 So question 2 which you had addressed. I had taken the  
18 first question to be not should we utilize -- should we  
19 utilize the exact measures that the RTO's employed under 719  
20 -- I took the question to be should we utilize this concept  
21 where we have an obligation on the RTO's to put a mechanism  
22 in place.

23                 So the direct answer to that question is we think  
24 that is the better way to go. Listening to everything that  
25 Simon has described, it is a difficult thing to do. It is

1 undoubtedly a difficult thing to do and something that needs  
2 to be very thoughtful but I'm going to quote Vice Chair  
3 Place who spoke at the last panel and he said, "By forcing  
4 either/or we're fixing the here and now, but we're not  
5 planning for the future."

6 And so it is incumbent also comments that  
7 Commissioner LeFleur made this morning about you know,  
8 "Let's skip past the next 10 years and just figure out how  
9 to do this, you know, the right way the first time." I  
10 think that's where we're at right now is yes -- it's  
11 difficult, it's hairy, it's messy, but these are resources  
12 that are coming on and they provide a tremendous amount of  
13 reliability and resilience value to both the distribution  
14 and the utility systems.

15 So if we did go with the approach that was  
16 spelled out in the NOPR, outright prohibition -- our  
17 concern, first and foremost, it would negatively impact  
18 reliability and resilience of both systems -- of both the  
19 transmission and distribution systems.

20 Because what you'd be doing is forcing DER  
21 resources to choose between one or the other. You're  
22 essentially saying to one system, "You can have this  
23 physical resource to meet the constraints on your system but  
24 the other system you can't use this physical resource that  
25 is available to you." That is a problem for reliability

1   that you're not making those resources available to both  
2   systems.

3                 We also feel that it will negatively impact  
4   competition and innovation, developing new services to  
5   develop system needs. By working in collaboration, by  
6   having an understanding between the services offered at the  
7   retail level and the services offered at the wholesale  
8   level, that facilitates innovation in a comfortable space  
9   that there will be a home for what you are working on as  
10   opposed to a fight about where you are going to be  
11   registering your resources.

12               So it would be a problem for innovation and for  
13   competition. Finally, I had mentioned this before but it  
14   would be completely contradictory to the efforts that have  
15   been underway to identify synergies and harmonization  
16   between wholesale markets and state policy.

17               I'll give an example in my home state of  
18   Pennsylvania, of very complementary dual programs that are  
19   in place at one time which is Act 129, it's for DR but it's  
20   a program that is in place in Pennsylvania. It is a peak  
21   load management program.

22               It's Commonwealth of Pennsylvania has said it is  
23   a policy objective of ours to manage the peaks of our  
24   systems down and we would -- we have a policy that we would  
25   like to advance that and so they have a DR program that is

1       centered around that.

2                 Those customers can also participate in PJM's  
3       capacity program to be available as an operationally  
4       dispatchable resource in an emergency or pre-emergency  
5       event. Those are very complementary because those DR  
6       resources -- it gives DR resources that have the ability to  
7       reduce in the summer, they have an option of where they can  
8       participate or it is providing resources who can provide  
9       with year round, annual capacity capabilities as well as  
10      discrete weather-driven summer capabilities.

11               They can then participate in both programs  
12      because they are solving two different things. Peak load  
13      management which is the policy of the Commonwealth of  
14      Pennsylvania and the availability of operationally  
15      dispatchable resources in an emergency or pre-emergency  
16      event -- those provide a nice complement to each other in  
17      the Pennsylvania -- in Pennsylvania in the PJM for  
18      providing multiple options to states in a complementary way.

19               If we had put a prohibition on dual  
20      participation, again that would have impacted reliability  
21      and created friction between states and further friction  
22      between state and wholesale policies.

23               MS. JOHNSON: Thank you, we'll go to Ted and then  
24      Roy and then we'll move to our next question.

25               MR. KO: Ted Ko with Stem. I wanted to work off

1 of what Simon -- the example that Simon brought up about  
2 Rule 24 and dual participation because it's actually a  
3 really, really good example of the inefficient outcomes of  
4 too broad of a rule.

5 So the Rule 24 as it is designed I think in 2014  
6 prohibits third-party DR providers who are participating  
7 directly in the wholesale markets, or the customers that are  
8 using DR aggregators to participate directly the wholesale  
9 markets to also participate in another utility DR program.

10 And so that may be appropriate in the sense of  
11 there's another utility DR program that's having the same  
12 capacity value that you're direct participation in the  
13 market is having at the same time.

14 But it's also currently set up so that you can't  
15 -- the customer cannot also participate in like a critical  
16 peak pricing tariff, which should -- which by all means  
17 should be able to be -- you should be able to do both right.

18 And so because of that restriction that occurs,  
19 customers who want to go participate in the wholesale market  
20 decide not to and aggregators like us who are going to  
21 sign-up these customers to pull them into the wholesale  
22 market, can't do that because there's restrictions there.

23 And so it's a rule that was done long before a  
24 lot of this multi-use was figured out and that needs to be  
25 updated. The other -- the other part about that is also

1 that rule also prevents what also Simon mentioned earlier  
2 about capacity differentiation.

3                 The idea that a single resource for example, a  
4 one megawatt battery could bid 700 KW into the wholesale  
5 market and 300 KW into a local distribution reliability  
6 program and there's no overlap, there's no problem with that  
7 -- there shouldn't be any problem with that because capacity  
8 is differentiated fully available to both, it's not possible  
9 to Rule 24 right now.

10               And so it's the same kind of idea as like these  
11 rules that were set in too broad of a case as to be general  
12 across all the different services don't hold up over time  
13 and so again it goes back to the case by case process. It  
14 should be -- the rule should be let the participation happen  
15 and then if problems come up, double conversation problems  
16 come up, then set rules to restrict that, but not the other  
17 way around.

18               MS. JOHNSON: Great, thank you Roy?

19               MR. KUGA: Roy Kuga, Pacific Gas and Electric.

20 To your question about the advantages and disadvantages --  
21 hopefully it's not a binary decision. I think we should  
22 have each jurisdiction figure out what works and as Simon  
23 and Ted and others have mentioned that we've invested a huge  
24 amount of resources and brain power through a collaborative  
25 process.

1                   We have a platform that is an enabling platform  
2    that allows behind the meter storage aggregations to occur,  
3    as well as demand response. Can it be better -- yes? Ted  
4    mentioned, yeah, there are moments that could be better.

5                   But I think to Katie's point about promoting  
6    innovation, competition and encouraging greater  
7    participation we already have over 500 megawatts  
8    participating in our service territory or for what thousands  
9    and thousands of customers.

10                  I think it's a working model. We've invested a  
11    lot of resources and coordination with the ISO and the  
12    multiple stakeholders. The multi-use issues still need to  
13    be worked out as we look at different use cases and but when  
14    you look at some of the major obstacles in terms of metering  
15    -- behind the meter charging, interconnection, data access  
16    and privacy -- a lot of this is worked out and so we ought  
17    to leverage what's in place and it's working in the ISO  
18    market as well.

19                  MS. JOHNSON: Great, thank you, I'm going to move  
20    on Simon but you will have time to speak in just a moment.  
21    So I think this is largely building off our conversation to  
22    date. From your all perspective, what are the other options  
23    that exist besides the NOPR's proposed limits on dual  
24    participation to address the issues associated with the  
25    participation of DER's or DER aggregations in one or more

1 regional compensation programs or another wholesale market  
2 participation program at the same time it participates in a  
3 wholesale DER aggregation?

4 We've heard some of that that perhaps the  
5 ISO/RTOs should lead in creating rules or perhaps it should  
6 happen on a case by case basis, but just curious if you  
7 could add any more thoughts on that and thank you. And  
8 Simon do you still want to --

9 MR. BAKER: I just wanted to speak to the -- what  
10 seems like an emerging proposal to have prohibition on NEM  
11 resource participation and wholesale markets and that's not  
12 an issue that we've taken up yet at the PUC.

13 And it's something that as we said in our NOPR  
14 comments, NEM and rate-payer fund retail programs are state  
15 jurisdictional matters. We have plans in our distributing  
16 energy resources action plan to take up this issue in 2018  
17 concerning the potential eligibility of NEM resources to  
18 participate in the CAISO's -- through the CAISO's DERP  
19 Tariff.

20 We appreciate that the FERC approved CAISO DERP  
21 Tariff left it to the local regulatory authority to make  
22 this determination and we recognize that, you know, that it  
23 could be a stretch to imagine situations in which NEM  
24 resources could demonstrably be shown to be incremental and  
25 measurably distinct and therefore eligible for dual

1 compensation.

2 You know I'm thinking about -- I'm thinking about  
3 smart inverters for example -- smart numbers are bringing to  
4 the floor a number of different capabilities that are new  
5 and you know, we're dealing with an issue right now in  
6 California where a frequency-watt capability in our Phase 3  
7 smart inverter process is looking at ways that, you know,  
8 small DER resources with smart inverters could be able to  
9 support stabilization after a frequency event, a frequency  
10 disturbance.

11 You know one can imagine that, you know, if that  
12 resource -- if a resource didn't have that capability before  
13 but then and it's participating in NEM but then a smart  
14 inverter is installed to be able to provide that capability  
15 okay, they're a NEM customer but now they're providing  
16 potentially an incremental service there that wasn't there  
17 before.

18 So that's why, you know, we urge caution in terms  
19 of any blanket product prohibitions because there could be  
20 some scenarios in which it's justifiable.

21 MS. JOHNSON: Great, thank you. I'm going to go  
22 to Paul and then I'll go back down the line.

23 MR. ZUMMO: Alright thank you, Paul Zummo,  
24 American Public Power Association. I think where our  
25 organization stands is that we largely agree with the NOPR's

1 prohibition but if we were to move past it if some of the  
2 operational concerns that I expressed initially were  
3 addressed and we moved to a different compensation wheel  
4 out, some back and forth, I think I just have some general  
5 principles that should be kept in mind.

6                 I think predictability is very important. I  
7 think we have set clear rules and distinguish between  
8 services and compensation for those services. I also think  
9 that anything we do has to be fairly automated.

10                 As you mentioned before I think, especially with  
11 medium and small utilities, you know, there's just a limited  
12 staffing there's just got to be -- the mechanisms have to be  
13 fairly automatic to not strain those already limited  
14 resources.

15                 And I also think the authority of the local  
16 utility local, the local ERIA's have to be respected I think  
17 a sort of compensatory program, you know. I mentioned  
18 retail rates before I also think we have to respect that  
19 local utilities also have their own unique programs meant to  
20 encourage the ER's and energy efficiency and I think we have  
21 to work -- multiples have to respect those unique programs.

22                 MS. JOHNSON: Thank you very much. I'll move  
23 back this way so I think who's next, Michael?

24                 MR. DESOCIO: So thank you for the opportunity  
25 again and as we've been working through a lot of these

1   questions in New York, in the New York stakeholder process  
2   there, so the stakeholder process and the DPS, and joint  
3   utility stakeholder process and as we think about it there's  
4   a couple of things that I just want to point out so that you  
5   all are aware of them.

6                 One of the issues that we're working through is  
7   can we allow a NEM like rate to work with an entity that's  
8   providing say wholesale regulation -- regulation service or  
9   operating reserves, so that's something we're going to test  
10   out.

11                Another thing that we're working through is where  
12   we're looking to understand better what are the system  
13   requirements of capacity? What is that amount of duration  
14   that we need capacity for on the grid? What are the hours  
15   that we are buying that capacity for -- to help inform that  
16   product and help us figure out where we're going to go next.

17                But one of the things that we -- we don't know  
18   how to deal with yet and we're thinking about is what  
19   happens when an entity signs on to an ISOs services tariff?  
20   When they sign on to the services tariff they take on the  
21   obligations of that service's tariff.

22                And the way the service's tariffs are structured  
23   right now, there's not this halfway in, halfway out model so  
24   we need to develop that. And I think that is going to be  
25   the hardest part in this whole thing is what are those clear

1   rules to figure out when it's appropriate to be opting in to  
2   the services tariff or opting out of the services tariff --  
3   and that becomes problematic because a lot of the rules that  
4   we have in place are because we've had situations in the  
5   past in the markets that caused us to develop the rules we  
6   have in the services tariff.

7                 So it's going to take us some time to work  
8   through that. I saw all that -- I'm an advocate that we can  
9   figure it out and I'm not an advocate to create a uniform  
10   blanket that we can't do this. But it is something that is  
11   going to take us some time and some real thoughtful  
12   discussions on how to do that in a way that is -- can be  
13   practically administered by us, by the MMU's, as well as can  
14   be understood by the entities that want to actually use it  
15   so thank you.

16                 MS. JOHNSON: Great, thank you, Mihir?

17                 MR. DESU: So I think there are simpler, more  
18   effective ways that we can appropriately compensate DER's  
19   for the services they provide. I mentioned earlier like the  
20   value of DER Tariffs that we're -- we're trying to put  
21   together in New Hampshire.

22                 In fact, we're -- stakeholders have come  
23   together, commissioned by the PUC to actually look at how a  
24   value DER Tariff on the load-side would compare to a Market  
25   Value Tariff or just market value participation.

1                   And this method can provide some simplicity in  
2 those price signals that the DER's really want right? So,  
3 if we're allocating these different costs from capacity  
4 markets, energy markets and ancillary service markets to  
5 load in a way that is -- is simple to understand, why can't  
6 DER's just respond to that?

7                   And you know, New York has done something similar  
8 and I think the distribution value is more of a state and  
9 distribution utility issue. California has done some  
10 interesting work with the location on that benefit analysis.

11                  I know Central Hudson in New York has done some  
12 interesting work there with -- it's like called an LCCF. So  
13 I don't necessarily think FERC needs to intervene there but  
14 making sure that these wholesale market values are  
15 compensated in a simple and effective manner is I think  
16 where FERC can really help the system.

17                  MS. JOHNSON: Okay thank you. We've got about 10  
18 minutes left so I'll go down the line if everyone could keep  
19 their remarks short please, Katie?

20                  MS. GUERRY: Thank you very much, Katie Guerry,  
21 from EnerNOC. So quickly, the first question in this -- in  
22 question 3, we've discussed multiple options here but yes,  
23 there are other ways than outright prohibition.

24                  We as -- it was mentioned on an earlier panel  
25 that utilities are seen as the gatekeeper -- we actually

1 view utilities as more of a facilitator and so we think that  
2 there are multiple mechanisms that can be implemented with  
3 the RTO Tariffs that can allow them to work with the  
4 utilities as facilitators of the integration of these  
5 resources.

6 In thinking about the complexity of -- and  
7 everyone has been talking about in terms of how do we figure  
8 all of this stuff out -- I'll just give an example of a  
9 mechanism that PJM had implemented for demand response.

10 When it was originally implemented during the  
11 registration process there was layers in which the utilities  
12 had to sign-off on customers participating in the demand  
13 response program. Over the course of the years we learned  
14 that those multiple layers of checks were unnecessary and so  
15 as a stakeholder community we voted and scaled back those  
16 rules because we discovered that the unnecessary complexity  
17 was actually bogging the process down.

18 And so I just offer that out there as sort of a  
19 lesson learned in terms of it can done and maybe it's a  
20 little bit simpler than we think that it is. And also, not  
21 only do we think that there are ways that we can do that,  
22 but we feel that it is incumbent upon us to figure out ways  
23 to allow dual participation because that will force the  
24 communication and the coordination at a whole other level  
25 than we've ever seen before between the RTOs and ISOs and

1 the utilities.

2 Again, I'll go back to the Act 129 example when  
3 Phase 3 was implemented last summer, the collaboration  
4 between the PJM DR group -- each of the utilities in  
5 Pennsylvania and the vendors that operated under Act 129 in  
6 the months leading up to the start of Phase 3 of the DR in  
7 Pennsylvania under Act 129, it required a lot of  
8 coordination discussions and an understanding of what  
9 information was needed.

10 Now we figured that stuff out, the objective is  
11 then we don't need to worry about that next year at the  
12 start of the registration, the start of the next delivery  
13 year. So I just bring that up as an example that again it's  
14 complementary, it's been a forcing function to integrate  
15 communications and dispatch protocols.

16 MS. JOHNSON: Great, thank you, Ted?

17 MR. KO: Ted Ko, with Stem and I'd just like to  
18 again kind of flip this question on the head as I do with  
19 question 1. Again, looking at it from the Commission's  
20 point of view and their goals for increasing participation  
21 and efficient outcomes of the market, the question is not  
22 how to -- the Commission in a final rule would develop other  
23 methods for prohibiting dual compensation -- double  
24 compensation.

25 The question really should be that the Commission

1       is -- takes the approach of allowing participation and the  
2       rebuttable presumption is that it's not being double  
3       compensated until somebody proves that it is.

4                 And so it's incumbent on the states or even the  
5       local ISO to demonstrate on a case by case basis why this  
6       particular situation is inappropriate double compensation  
7       along the lines of -- and the criteria for that is does it  
8       negatively impact the efficient outcome of the wholesale  
9       market?

10               If they can then prove that, then it's incumbent  
11      on them to on the parties that to then say this is the  
12      accounting methodology in which we will resolve this  
13      inappropriate double compensation.

14               And those should all be the steps that should be  
15      taken before any concept of a prohibition should be made.  
16      Prohibition is only appropriate if there's either no way to  
17      mathematically take it out or it's full complete overlap and  
18      you'd have to take out the entire compensation because it's  
19      -- it's complete overlap.

20               And that would be the only criteria in which you  
21      could then justify an actual prohibition, but a prohibition  
22      should be the last resort.

23               MS. JOHNSON: Great, thank you Ted, Roy?

24               MR. KUGA: Roy Kuga, Pacific Gas and Electric.

25      With respect to the metering as we know many states have

1 many different flavors and nothing is static. And as we  
2 look at the prohibition I think it's important to understand  
3 that the net metering structure can evolve over time and if  
4 we look at the unbundling or disaggregation of what the  
5 costs are unavoidable, what are TND or group supported and  
6 what are market based -- I think we could come up with a  
7 structure where compensation can occur to the DER behind  
8 the meter resources, but we need to have the right kind of  
9 market signals occurring both on the retail side through the  
10 unbundling of the rates along with the wholesale market  
11 transparency, thank you.

12 MS. JOHNSON: Thank you, Marco?

13 MR. PADULA: Yeah, Marco Padula from DPS. So we  
14 would agree that prohibition should not be the way to go.  
15 The one big suggestion that we would have is you really  
16 should look at this as a multi-phase process over time to  
17 enable DER technologies to evolve.

18 The DER technologies that we see today are one  
19 flavor, what we're going to see tomorrow or five years from  
20 now is something we can't even imagine. So what we've done  
21 in New York, we've established certain tariffs and  
22 contracting mechanisms to try to value those resources that  
23 we have today but as we move forward we're envisioning a  
24 much more dynamic market through the development of a DSP at  
25 the retail level that would then you'd have to develop

1 market coupling mechanisms between the utility DSP's and  
2 the ISOs.

3 That's something that we see will take place over  
4 time. So the message that I want to -- the last message  
5 that I want to get across it's really a phased approach but  
6 we don't want to stop what we're doing today and wait for  
7 that -- that future vision.

8 We believe we can start moving in that direction  
9 and enable the DER technologies to evolve over time and take  
10 advantage of what is happening instead of just waiting --  
11 you know, a wait and see approach.

12 MS. JOHNSON: Great thank you, we've got a couple  
13 minutes, Simon do you have a few last remarks?

14 MR. BAKER: Yeah, I just wanted to say and  
15 perhaps this is stating the obvious but the collaboration  
16 that we have had in California with the California ISO to  
17 implement these rules has really been essential.

18 We've had -- we've done joint roadmaps together,  
19 we've done joint staff papers -- actually the multi-use  
20 application decision was based on a joint staff paper.  
21 We've done joint workshops and so that's really been  
22 essential to be able to have those robust conversations to  
23 be able to work this out.

24 Also, just having decisions like we passed on  
25 MUA, providing a broad framework and a structure within

1 which we're working out the details -- we think that's a  
2 good first step for local jurisdictions in concern with  
3 their ISOs and there's no substitute for the time that it  
4 takes to work out these details.

5 And we think that will probably be in front of a  
6 meter use cases are going to be the first to get worked out  
7 because the behind the meter has just a lot of really tough  
8 details to work out.

9 MS. JOHNSON: Great, thank you. I want to thank  
10 all the panelists. I think brings us to a close. I think  
11 Dave has a few closing remarks.

12 MR. KATHAN: I also want to thank -- it's been a  
13 wonderful panel and it's been a great day. I think we've  
14 covered lots of great stuff so we'll be adjourned for today.  
15 I want to mention tomorrow we're going to start at 9 a.m.  
16 and we'll have -- cover four different panels over the  
17 course of the day.

18 And tomorrow we'll have a little different focus.  
19 We'll be more focusing into some key reliability and  
20 operational issues so there'll be two panels in the morning  
21 looking at some of the issues associated with a bulk power  
22 system.

23 And the afternoon we'll be focusing on issues  
24 associated with coordination which we've been hearing  
25 throughout this discussion already today. There has also

1    been some reference to post-technical Conference comments  
2    and I just wanted to note the Commission will be issuing a  
3    notice in the near future, establishing a timetable and  
4    procedures for these comments.

5                 So with that enjoy your evening.

6    (Whereupon at 4:46 p.m., the conference was adjourned.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER  
2

3 This is to certify that the attached proceeding

4 before the FEDERAL ENERGY REGULATORY COMMISSION in the

5 Matter of:

6 Name of Proceeding: Distributed Energy Resources  
7

8

9

10

11

12

13

14

15 Docket No.:

16 Place: Washington, DC

17 Date: Tuesday, April 10, 2018

18 were held as herein appears, and that this is the original

19 transcript thereof for the file of the Federal Energy

20 Regulatory Commission, and is a full correct transcription

21 of the proceedings.

22

23

24 Larry Flowers

25 Official Reporter