

1 FEDERAL ENERGY REGULATORY COMMISSION

2

3 TECHNICAL CONFERENCE

4

5 DISTRIBUTED ENERGY RESOURCES

6

7 FEDERAL ENERGY REGULATORY COMMISSION

8 888 FIRST STREET, NE

9 WASHINGTON, DC 20426

10

11 Wednesday, April 11, 2018

12 9:00 a.m.

13

14

15

16

17

18

19

20

21

22

23

24

25

1 SPEAKER List

2 --Panel 4--

3 OEPI -- David Kathan, Michael Herbert, Ray Palmer

4 OER -- Joe Baumann (Moderator), Stephanie Schmidt, Alan

5 Phung, Matthew Nutter, Monica Taba or Jomo Richardson

6 Larry Bekkedahl, Vice President, Transmission and

7 Distribution, Portland General Electric

8 Donald Bielak, Manager, Reliability Engineers, PJM

9 Interconnection, L.L.C.

10 Jens Boener, Principal Technical Leader, Transmission

11 Operations and Planning Group, Electric Power Research

12 Institute

13 Marcus Hawkins, Director, Member Services and Advocacy,

14 organization of MISO States

15 Clyde Loutan, Principal, Renewable Energy Integration,

16 California Independent System Operator

17 Jacob Tetlow, Vice President of Transmission and

18 Distribution Operations, Arizona Public Service

19 Ganesh Velumylum, Senior Manager, System Analysis, NERC

20 Tam Wagner, Senior Manager, Regulatory Affairs, Independent

21 Electricity System Operator (Ontario)

22 --Panel 5--

23 Shay Bahramirad, Director of Distribution System Planning,

24 Smart Grid and Innovation, Commonwealth Edison Company

25 Jens Boemer, Principal Technical Leader, Transmission

1 Operations and Planning Group, Electric Power Research
2 Institute
3 Ning Kang, Staff Scientist, Argonne National Laboratory
4 Dennis Kramer, Sr. Director, Transmission Policy,
5 Stakeholder Relations and Business Development, Ameren
6 Services Company
7 Marija Prica, Assistant Professor, Case Western University
8 Binaya Shrestha, Regional Transmission Engineer, California
9 Independent System Operator
10 Ganesh Velumyylum, Senior Manager, System Analysis, NERC
11 Brant Werts, Lead Engineer, DER Technical Standards, Duke
12 Energy Corporation
13 OEPI - Michael Herbert, Ray Palmer, David Kathan (possible)
14 OER - Stephanie Schmidt (Moderator), Alan Phung, Jomo
15 Richardson, Gilbert Lowe, Sasan Jalali
16 OEMR - Laura Switzer
17 OGC - Mary Ellen Stefanou
18 --Panel 6--Afternoon session
19 David Crews, Senior Vice President, Power Supply, East
20 Kentucky Power Cooperative
21 Mark Esguerra, Director, Integrated Grid Planning, Pacific
22 Gas and Electric Company
23 Daniel Hall, Chairman, Missouri Public Service Commission
24 and Vice-President, Organization of MISO States
25 Peter Langbein, Manager, Demand Response Operatoins, PJM

1 Interconnection, L.L.C.
2 Audrey Lee, Vice President, Energy Services, Sunrun, Inc.
3 David K. Owens, Retired Executive Vice President, Edison
4 Electric Institute
5 Maria Robinson, Director of Wholesale Markets, Advanced
6 Energy Economy
7 Jeff Taft, Chief Architect, Pacific Northwest National
8 Laboratory
9 OEPI - David Kathan (Moderator), Michael Herbert, Ray Palmer
10 OER - Vincent Le, Stephanie Schmidt, Anuj Kapadia
11 OEMR - Lynn Massengill
12 OGC - Karin Herzfeld, Heidi Nielsen
13 --Panel 7 --
14 Joseph Ciabattoni, Manager, Markets Coordination, PJM
15 Interconnection, L.L.C.
16 Matthew Glasser, Director, Consolidated Edison Company of
17 New York
18 Gerald Gray, Program Manager, Information and Communication
19 Technology, Electric Power Research Institute.
20 Ali Ipakchi, Executive Vice President, Smart Grid and Green
21 Power, Open Access Technology International, Inc.
22 Lorenzo Kristov, Independent Consultant
23 Brandon Middaugh, Senior Program Manager for Distributed
24 Energy, Microsoft
25 Doug Parker, Director, DSO Implementation, Integrated

1 Innovation and Modernization, Southern California Edison
2 Company

3 Martin Ryan, Director, Real Time Operations, NRG Energy,
4 Inc.

5 OEPI - David Kathan (Moderator), Michael Herbert, Ray Palmer

6 OER - Thanh Luong, Joe Baumann, Stephanie Schmidt

7 OEMR - Mark Byrd

8 OGC - Karin Herzfeld, Heidi Neisen

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 P R O C E E D I N G S

2 MR. BAUMANN: Good morning we'd like to invite
3 everyone to please take a seat as we plan to get started
4 here in the next minute or two, thank you very much.

5 Good morning everyone, my name is Joe Baumann and
6 I'm with the Office of Electric Reliability here at FERC.
7 We'd like to thank everyone for joining us for Day 2 of our
8 2-day Technical Conference on Distributed Energy Resources.

9 So far we have found this Conference informative,
10 interesting and we hope and we expect to see that continue
11 here on day 2. A couple logistic remarks before we get
12 started. Please no food or drinks other than bottled water
13 in the Commission meeting room.

14 There are bathrooms and water fountains behind
15 the elevator banks on each end of the building. Please turn
16 off your mobile devices or put them in the airplane mode
17 while in the Commission meeting room to avoid interference
18 with the audio visual and the sound equipment.

19 We have arranged for spillover space in Hearing
20 Rooms 1 and 2. Today we have four panels. We will break
21 for lunch approximately 12:10 p.m. until 1:30 p.m. For
22 panelists today if you would like to be recognized to speak,
23 please put up your name card, be sure to turn on your
24 microphone and speak directly into it so that the audience
25 and those listening to the webcast can hear you.

1 This Technical Conference is being transcribed so
2 please say your name when you start to speak. When you are
3 not speaking please turn your microphone off to minimize
4 background noise. Panel discussions will not include
5 opening remarks but will consist of a discussion based on
6 the questions posed by Commission staff in the notice.

7 We'd also like to remind everyone that we intent
8 to focus this Conference on the technical and operational
9 issues described in the notice. We will not discuss other
10 related matters including those at issue in any pending
11 proceedings.

12 A quick note about Panels 4 and Panel 5 -- those
13 are the first two panels this morning before we break for
14 lunch. These panels are intended to discuss DER's in
15 general whether or not they participate in the wholesale
16 markets. Further, these two panels are in reference to
17 Docket No. AD18-10-000.

18 After lunch Panels 6 and 7 will go back into
19 market participation of DER aggregations specifically
20 addressing coordination issues.

21 Panel 4 includes a discussion on the collection
22 and availability of data on DER installations. It will also
23 address the impacts to both power system reliability that
24 results from increasing penetration of distributed energy
25 resources.

1 I'd also like to highlight the reason we revised
2 IEEE15-47 Standard -- we encourage the panelists to refer to
3 the standard in their responses where appropriate. With
4 that I would like to introduce our panelists and I want to
5 thank them for joining us today. Many of these panelists
6 come from the west coast so apologies for putting you on the
7 earliest panel we had at this Conference.

8 We have Larry Bekkedahl, Vice President,
9 Transmission and Distribution from Portland General
10 Electric; Donald Bielak, Manager, Reliability Engineering,
11 PJM; Jens Boemer, Principal Technical Leader, Transmission
12 Operations and Planning Group, Electric Power Research
13 Institute; Marcus Hawkins, Director, Member Services and
14 Advocacy, Organization of MISO States; Clyde Loutan,
15 Principal, Renewable Energy Integration, California
16 Independent System Operator; Jacob Tetlow, Vice President of
17 Transmission and Distribution Operations, Arizona Public
18 Service; Ganesh Velumylum, Senior Manager, System Analysis,
19 NERC and Tam Wagner, Senior Manager, Regulatory Affairs,
20 Independent Electric System Operator.

21 With that we'll begin with the questions.
22 Question 1 -- what types of information and data do bulk
23 power system planners and operators need regarding DER
24 installations within their footprint to reliably plan and
25 operate the bulk power system? We'll begin with Jacob?

1 MR. TETLOW: Yes, my name is Jacob Tetlow, I
2 appreciate the opportunity to be here and I think it's a
3 great topic as we collectively work to transform our energy
4 industry. As far as APS is concerned, and the focus on
5 DER's and the type of information we need -- I should
6 probably give you a little context.

7 We're a 1.2 million customer utility with about a
8 7% residential penetration rate so we've about 80,000
9 residential customers today with solar panels, rooftop. The
10 focus for us is around the size, the location and the type
11 of DER.

12 And we actually do production meter -- all 80,000
13 of those residential systems so they're mapped into our
14 network and they're used for the actual solar production is
15 used in that modeling of the network for load forecasting
16 and planning of both distribution and spillover into
17 transmission planning.

18 As a vertically integrated utility, much to the
19 conversation yesterday, you know, we don't have any of the
20 problems or challenges, our two control centers are about 50
21 feet apart so that makes it a little easier to flow
22 information.

23 Some of the information we don't have would be
24 more around like inverter settings and some of those
25 ancillary details that you get further and further as you

1 get into the distributed energy resources.

2 Our -- to give a little bit of context on the
3 value of some of that as you get -- what we've learned is
4 there used to be kind of a methodology there that hey, 30%
5 penetration creates problems and some of those were kind of
6 arbitrary numbers out there.

7 And having those real details has really helped
8 us to understand -- there's times where you can be 50%
9 penetrated on a feeder and not have any operational
10 problems. You can equally be 30% penetrated and have
11 operational problems as it relates to voltage management
12 exceptions and maintaining your IEEE standards.

13 And the difference generally gets into the
14 topography of where that is -- if it's a long feeder, high
15 concentration of solar at the end of that feeder -- that
16 will create many more problems than if you have a short
17 feeder close to the substation with the concentration of
18 solar near the substation.

19 So having that data and that would be my -- my
20 greatest ask to FERC is, you know, helping get the data to
21 the utility so we can accurately model and manage our
22 systems -- I would say you can't manage what you don't
23 measure and so measuring the DER's is critical to the
24 success of it.

25 MR. BAUMANN: Thank you Mr. Tetlow, Mr.

1 Velummylum?

2 MR. VELUMMYLUM: Thank you Joe, I appreciate the
3 opportunity to be here, thank you Commissioners. We had a
4 lot of discussion yesterday about technology. It's obvious
5 that this device can provide -- we all know these are smart
6 devices -- there are a lot of capabilities we are trying to
7 get to.

8 So I'm going to separate two things here -- one
9 I'm going to talk about status data operation and I'm going
10 to get into transient and sub-transient operation. We talk
11 about LNP's and I know it's not my jurisdiction to get into
12 markets but when we talk about megawatt, we're talking about
13 steady state operation.

14 What do we see in the system, you know, under the
15 steady state operation condition? For that purpose
16 aggregating the information would be great. I mean it's
17 good, sufficient. But you have got to understand when an
18 operator system somethings thing happen -- a unit trips, you
19 know.

20 So when you get into transient area we are in a
21 different, you know, time domain here. And we know these
22 devices are smart devices. They can provide more effective
23 control, frequence in response, volt support, volt flux
24 support.

25 So in order to be able to tap into that aspect of

1 these devices we need to detail modeling. And I highly
2 recommend that you know, we pay attention also to the
3 details of this model when we talk about transient. And the
4 biggest thing we have to keep in mind things happen right?

5 But we all have to remember how quickly we can
6 bring a system back into a steady state operation and that's
7 where these devices can help us to some extent but you have
8 to model that, you need the detailed models -- that is my
9 perspective, thank you.

10 MR. BAUMANN: Thank you Mr. Velumylum, Mr.
11 Bekkedahl?

12 MR. BEKKEDAHL: Good morning Larry Bekkedahl,
13 Portland General Electric and thank you for the opportunity.
14 I appreciate you bring us all together here and jumping on a
15 subject that is near and dear to a lot of our hearts 00
16 those of us on the operating side.

17 I'm going to chime in a little bit with Jacob,
18 our utilities are in many ways fairly similar in that we're
19 vertically integrated. We're about 900,000 customers, both
20 of us are participating in the energy and balance market and
21 so we look at things in very similar ways on the West Coast.

22 But things that I would mention in addition as we
23 think about information and data that's necessary is Elon
24 Musk said a few years ago that in distribution of the future
25 we're going to have about a third of our generation in the

1 distribution system. That's a change -- that's a big change
2 for us and when you think about for us 4100 megawatts is
3 what our peak is -- it's not a summer peak, it's not a
4 winter peak and to put that in perspective, 1500 megawatts
5 of generation into the distribution system.

6 Secondly, I would say that the worst thing that
7 can happen for distribution companies is to not have
8 visibility on what is that distributed energy resource. We
9 operate -- right now our generation -- backup generation for
10 a number of our customers, it makes up all of our
11 contingency reserves that we're required across our system.
12 We actually don't own it but we operate it, we maintain it
13 and it's there available for our balancing authority at all
14 times.

15 That's been a great resource for us for the last
16 15 years and as we think about the future of storage being
17 one of those distributed energy resources, that becomes a
18 spinning reserve for us -- how we can apply it. But we need
19 to know where it is, the size of it and how it's being
20 operated in a real time basis. And I think that's the
21 difference as we go into the future.

22 The worst case is we don't have any visibility.
23 If we don't know what it is, where it is, it will be much
24 like we do with our load today -- we forecast. If we look
25 at the loader feeder, we forecast and then we build to the

1 worst case scenario.

2 We put in as much capacity as necessary and we
3 have to say to ourselves is that the most we can do, is that
4 optimizing the system? And if we put in more variable load
5 which this would be, both on generation and we'll call it
6 demand response being flexible load, if we don't see that
7 we're going to build to the worst case scenario.

8 So we're not going to optimize, it's not going to
9 be as affordable, it's going to be a very expensive option.
10 And worse than that would be if somebody is operating it and
11 you don't know about it.

12 So if we have an aggregator that is operating it
13 and putting it into a market and you as a distribution
14 operator don't see it, don't understand it, you've created a
15 problem for yourself.

16 So I challenge us to think about that and I would
17 say that the greatest benefits for both the system and
18 societal is to think about how we optimize the distribution
19 system. We have non-wired solutions. If we don't have to
20 re-conduct, if we don't have to put a second transformer in,
21 we start to utilize all the distributed energy resources and
22 optimize it on the grid -- that becomes for both the system
23 and society our greatest opportunity.

24 So with that it is information we can aggregate
25 it and share it at the bulk system, but we'd like to see

1 that we make sure it's visible at the distribution level.

2 MR. BAUMANN: Thank you Mr. Bielak?

3 MR. BIELAK: Good morning, Donny Bielak, PJM.

4 I'd like to give this a little bit of perspective from the
5 RTO/ISO standpoint. I'd like to echo a lot of the same
6 comments that were just made but this is also from a
7 standpoint of say wholesale versus non-wholesale DER, being
8 such that if a DER were to participate in say the PJM
9 market, it would be subjected to market rules and data
10 submission requirements and we believe from an operational
11 standpoint we would be able to work with our markets and our
12 stakeholders to determine what would be best for them to
13 adhere to.

14 So taking this from a standpoint of non-wholesale
15 DER we're actually a bit afraid of DER resources installing
16 and saying, "We don't participate in your market, why do we
17 need to give you any information?"

18 And so, again, to echo a lot of these same
19 points, as the reliability coordinator and the transmission
20 operator, we like to take the standpoint from reliability
21 data -- we'd rather have all the data all the time -- of
22 course that's not feasible.

23 And we'd like to at least come up with something
24 that would be say -- what's going to have an effect on our
25 system, on the bulk electric system.

1 You could probably write that down. Again, to a
2 lot of the same points that were already made, installation
3 megawatt values, location, fuel type, if it's -- we know
4 it's not going to be -- we know it's not wholesale it's not
5 going to be telemeter, it's not going to be sent to us but
6 at least if we have that type of information we can work it
7 in to our forecast models and operate around it.

8 And I would actually break this down even into
9 like a say -- what's going to be your, like a threshold, for
10 what we would need to know. What's going to start having an
11 effect on the bulk electric system? If you're a small
12 rooftop solar -- it's not going to really even show up on to
13 our system. But some of these DER installations are quite
14 large -- talking 10-20 megawatts and they're not
15 participating in the market so they don't have to adhere to
16 our data submission rules.

17 But they can certainly have an effect, especially
18 dependent on where they are located electrically. So if
19 you're connected to say -- a 69 KV system which has a low
20 rating, 50 NVA or so, just a 10 megawatt installation can
21 have a very large effect.

22 So and some of our underlying 69 KV is needed for
23 electrical liability and bulk electric system just because
24 of how the electrical system is designed. So with that in
25 mind, again, I would like to agree with some of the comments

1 that were said even at a higher level, the RTO and ISO
2 level, thank you.

3 MR. BAUMANN: Thanks, Miss Wagner?

4 MS. WAGNER: Thank you and thank you for the
5 opportunity to participate on this panel this morning. So
6 for a bit of context we are the system operator for the
7 provinces of Ontario in Canada. We've got an installed
8 capacity of approximately 40,000 megawatts of which 20% of
9 that is variable generation.

10 Of that variable generation approximately half of
11 that is actually embedded in our distribution system so we
12 do have to face some of the similar challenges that you do
13 in the states around the visibility of embedded resources.

14 I would like to echo a lot of the comments that
15 my fellow panel members have already stated and really with
16 the ISO we are -- we are supportive of enhanced visibility
17 as well as increased dynamic data from a bought system
18 perspective.

19 I can actually talk to the importance of modeling
20 and I'd like to echo that and also reiterate the real time
21 data needs as well. And while with the unique position that
22 Ontario is in is that we are the transmission operator,
23 we're also the balancing authority and we interact with over
24 60 local distribution companies in Ontario.

25 And while we are going through our LOTC

1 consolidation, just the sheer volume of distribution
2 utilities in Ontario is a challenge for us. What we are
3 doing in order to enhance the visibility from the grid level
4 of these distributed assets is we do have a number of
5 initiatives under way with our local distribution companies
6 to implement -- develop and implement data sharing
7 frameworks -- so looking at both from a static data
8 perspective so nameplate capacity, generation fuel type as
9 far as delivery points -- but also looking at it from a real
10 time data perspective as to what energy injections there are
11 into the grid and at what delivery point as well.

12 One of our key initiatives right now is around an
13 LDC grid interoperability standing committee with -- where a
14 number of our stakeholders and distribution utilities are
15 involved and with that we're looking at how do we enhance
16 the -- enhance and enable DER penetration within the Ontario
17 system, but also around that integration piece and looking
18 at what real time data can also be provided.

19 And I think my last point is it's really around
20 the importance around the interaction between the LDC, the
21 local distribution company and the system operator as well
22 and what the dynamic of the distributed energy resources
23 amongst the broader generation mix of the generation fleet
24 so there is a point that was made around topology.

25 It's also a matter of how that distributing

1 energies resources -- their behaviors and their physical
2 operating characteristics also complement or not complement
3 the generation supply on the bulk level as well.

4 MR. BAUMANN: Thank you, Mr. Loutan?

5 MR. LOUTAN: Our answer is 50,000 megawatt system
6 is a big system. We can see the load shift anywhere from
7 over 17,000 megawatts off-peak to about 15,000 megawatts
8 during peak hours. Currently we have about 10,000 megawatts
9 of transmission connected solar.

10 We have 6,000 megawatts of wind and we have
11 roughly 7,000 megawatts of rooftop PV. So we are starting
12 to see some unique operator challenges, you know, with that
13 amount of variable resources -- especially when the loads go
14 up.

15 Now, the type of data that system planners need
16 is a lot difference from what system operators need. System
17 planners they look for things like location, capacity,
18 capability of these results so that they can do a composite
19 load model to study the system looking at, from a stability
20 standpoint.

21 From an operational standpoint, we look for 7
22 types of information transmission distribution interface.
23 We look for things like voltage flows, direction of current
24 flows, that load forecast, day ahead timeframe is something
25 that we need and also in the real time timeframe, actual

1 real time telemetry.

2 I guess everybody here mentioned the need for
3 that and real time telemetry. So just think about on some
4 days we operate the grid or about 25% of the load is being
5 served by rooftop PV that we have no visibility of.

6 So one of the challenges for system operators as
7 a system operator -- one of the responsibilities is to
8 support the interconnection frequency -- supporting the
9 interconnection frequency with 25% of the supply that you
10 have no visibility of is really a challenge.

11 So, before DER how it is you know we did this.
12 Well we got information in real time every 4 seconds from
13 transmission connected resources. We also got information
14 every 4 seconds from the interties so we could calculate
15 load every 4 seconds.

16 And load back 5 years ago was pretty much
17 predictable. Now in California the load is pretty much all
18 predictable. We've got things like fresh response
19 efficiency, the model response, plug in electric vehicles
20 and the bigger now is DER.

21 So currently as I said we have almost 7,000
22 megawatts of DER, that is expected to increase to about
23 12,000 by 2022 timeframe. So the ability and uncertainty is
24 expected to increase.

25 What we started to see is huge drops during

1 sunrise, during sunset. And we recently calculated the
2 contribution -- the rooftop PV has a ramp especially, we
3 think it's anywhere from 3,000 megawatts to 5,000 megawatts
4 -- that's a lot of ramping capability especially when you
5 have no visibility.

6 So essentially today we have system operators
7 trying to control a grid with an unpredictable demand with
8 variable supply. So we always, you know, reactive mode. So
9 we need to get that telemetry in real time, the TNE
10 interfaces and in some cases we may have to get that
11 telemetry beyond the TNE interface depending on the network
12 topology.

13 Again, in order to help the system operator be
14 aware of what he's facing in real time, telemetry is
15 important and also some level of controllability. When I
16 say some level of controllability of DER resources -- I mean
17 not just being able to shut these things off and bring them
18 online, we need to have some type of ramp rate controls.

19 For instance if they wanted to parse the market
20 let's say -- we issue a dispatch instruction to allow the
21 DER to go from 10 megawatts to 20 megawatts or vice-versa.
22 We'd like that to happen across, you know, a certain
23 timeframe or like a 2 megawatt a minute across 5 minutes.

24 So with that I'll stop too.

25 MR. BAUMANN: Thank you, Mr. Hawkins?

1 MR. HAWKINS: Thank you Marcus Hawkins with OMS.
2 I will not be able to dive into the numbers like California
3 that DER has reached in MISO and part of that is just the
4 lower penetration of DER in the MISO footprint.

5 But another part of that is that in California
6 there's a single state ISO where coordination with the CPUC
7 and other parties allows for that data to be readily
8 available to the ISO. But in the MISO footprint, the states
9 really have visibility into more of that data and there's a
10 15 state footprint in MISO and so given that low penetration
11 today, the states have recognized the potential impacts in
12 the future and the need to start to have discussions with
13 MISO on what type of data they would need at least from a
14 planning perspective at the very least to conduct economic
15 transmission planning into the future.

16 And so we've started those conversations and
17 started to get an assessment of the type of data that's out
18 there and how it's currently being used, how forecast of DER
19 being used in the different jurisdictions within the
20 footprint and then jumping on to what Donald was saying
21 about the wholesale market participation.

22 Right now what wholesale market participation
23 will look like within MISO is unclear and it might be
24 impacted by varying state policies throughout the footprint
25 so we're really focused in on getting a sense of what

1 information exchange between the utilities and MISO might
2 need to look like a baseline amount of information exchange
3 for transmission planning and what that information consists
4 of regardless of participation at either retail or
5 wholesale.

6 MR. BOEMER: Good morning my name is Jens Boemer,
7 I'm with the Electric Power Research Institute which is a
8 not-for profit institution dedicated to the public benefit.
9 My responses will focus primarily on DER data for building
10 transmission planning cases for load flow and dynamic
11 stability studies.

12 In the fundamental cycle timeframe as our
13 underlying equity research has matured significantly in that
14 area over the last couple of years. Many of my statements
15 will echo what we have just heard from the fellow panelists
16 and our research does suggest that DER needs to be included
17 in dynamic stability and study state studies once DER
18 reaches significant penetrations in the overall system.

19 And what really counts is the aggregate number of
20 the DER on the regional basis on an interconnection basis.
21 We also expect that leading practices for the assignment of
22 abnormal performance categories which are defined by IEEE
23 and Act 1547 which was published last week may include
24 sophisticated modeling of DER in dynamic stability studies.

25 From an operations perspective, DER as we have

1 heard, is expected to be less controllable and to a certain
2 extent less available than conventional generation and as
3 such more information will be needed to consider and to
4 account for the changing availability of DER capabilities to
5 reliably provide certain responses over time.

6 Note that as EPRY performs some research on bulk
7 system operations with DER and related data need including
8 balancing and frequency control. And to date, however, the
9 results from that type of research are still limited and the
10 answers to additional questions may be provided on request.

11

12 The DER transmission planning data which has been
13 specified in the NERC reliability guidelines for DER
14 modeling in our view, that's specified the minimum data
15 requirements that will be needed to model the power system
16 in a reliable and expert way.

17 This DER specified data is consistent with recent
18 EPRY research that has been published and we recommend that
19 to the greatest extent possible, netting of DER with load
20 should be avoided. Note that the DER data is not only
21 needed for the existing DER's in the system but we will
22 also need that data for future DER's connecting to the
23 system over the planning horizon.

24 There may be multiple ways for transmission
25 planners to obtain that data -- each way allowing to

1 represent DER performance with different accuracy and
2 different transmission planning studies. And the
3 uncertainties resulting from inaccurate DER data will have
4 to be addressed in operational practices including reserve
5 planning and security constraint, economic dispatch.

6 Certainly inaccuracies decrease as newer one gets
7 to the real time operations.

8 MR. BAUMANN: Thank you, before I turn it over to
9 Mr. Bielak, I just wanted to ask a follow-up question for
10 our panelists to start thinking about. We've heard a lot
11 about the different types of data needs here so as a
12 follow-up are there procedures and agreements that exist in
13 your footprint that exist to share this data with bulk power
14 system operators and planners? Also, several panelists
15 mentioned the importance of real time data. In your
16 experience, in your footprint how do you balance the need
17 for transmission operators to have access to this data while
18 also considering the costs of providing this data to the
19 bulk power system? With that I'll turn it over to Mr.
20 Bielak.

21 MR. BIELAK: Thank you, Donny Bielak, PJM. I
22 would really like to build upon Clyde's comment about the
23 California ISA load and he said that the load is
24 unpredictable. California ISO has a much larger penetration
25 of DER than PJM so we look to them kind of in advance for

1 shadowing as we build up our penetration levels closer to
2 theirs.

3 And that's a scary thought -- load being
4 unpredictable. We have very much -- we need an absolutely
5 accurate load forecast in order to bulk operate the system
6 and also operate it economically so if they're having
7 patterns that cannot be properly forecasted, in order to
8 maintain reliability you're going to have to start procuring
9 additional ancillary services which comes at a cost so
10 additional reserves, regulation in order to keep all the
11 system operating limits and frequency at acceptable limits,
12 thank you.

13 MR. BAUMANN: Thank you Mr. Bekkedahl? MR.

14 BEKKEDAHL: So a couple of things as you're mentioning about
15 the information sharing between and so for us I had
16 mentioned the distributed stand-by generation that we have
17 that actually is on the distribution so imagine if you will
18 that the balancing authority wants to use that generation as
19 an emergency on system, et cetera.

20 You need to quickly know is it available first --
21 are the feeders that make the path back into the sub-station
22 and to the transmission grid there and available as well.
23 So again, making sure that that visibility -- that that
24 distributed energy resource you're going to call upon has
25 all of the capabilities to do what you're asking it to do

1 and to be able to trigger it and then verify that it
2 actually happens.

3 Those are all critical pieces if you want to
4 remain inter-reliability and to have the system actually
5 function and do exactly what you're looking for. So many
6 times our folks, even though we have that on the automated
7 side, there's still phone calls that go on and people
8 double-checking to make sure that things are there and
9 available, so it is very complex on that behalf.

10 We're learning and again the better the data, the
11 better the information that's flowing, we make better
12 decisions on that.

13 MR. BAUMANN: Thank you, Mr. Hawkins? MR.

14 HAWKINS: Thank you, Marcus Hawkins with OMS. To your
15 follow-up question about the processes and procedures in
16 place to share the information -- in the MISO footprint it's
17 over 90% vertically integrated so the ability to share data
18 within those vertically integrated utilities exist, but as
19 far as procedures to share data with MISO, there's a pretty
20 easy answer that process is not in place. There haven't
21 been agreements or any sort of structure set up to share
22 that data as off yet.

23 We're just starting to think about what that
24 might look like today, so.

25 MR. BAUMANN: Thank you Mr. Tetlow?

1 MR. TELOW: Thank you I was just going to add to
2 your follow-up question. As a vertically integrated utility
3 the ability to share data is fairly easy but as we have seen
4 the penetration of DER's over the last, you know 10 years --
5 10 years ago we had 200 systems, today we have 80,000.

6 As we progress down that road, the importance of
7 building that into your distribution planning came up very
8 early in the process to assess each of your feeders. When
9 you have 1300 distribution feeders, that data today has a
10 very defined process as it relates to the reliability of the
11 thermal overloads, the hosting capacity if you will for
12 additional DER's -- that all gets done on that distribution
13 side but there's a very formalized process that you transmit
14 at a feeder level to your transmission planners for system
15 operating limits and other criteria like that.

16 There is a cost for that data, you know, if you
17 want that data accurately -- it's not real time today when
18 we put a production meter on a solar array -- it's about an
19 hour delay, but it does come with some cost and then in our
20 opinion that makes a lot of sense for truly understanding
21 what all the inputs are to your system from a network
22 modeling perspective and operating perspective.

23 MR. BAUMANN: Thank you, Mr. Velmmylum?

24 MR. VELMMYLUM: Thank you Joe. I -- I think we
25 need to start with the transmission owners. We have

1 standards in place like for so many interconnection
2 standards that talk about end user customer. I think it's
3 very important and imperative that transmission owners be
4 very cognizant about the data.

5 So any interconnection agreement with a customer
6 they need to specify dynamic data, steady state data they
7 need. It starts with the transmission owner. They have to
8 make sure before they interconnect a request that these data
9 are provided.

10 So that once we have the data, then we can
11 transfer the data to the transmission planning and planning
12 coordinator to the standards so the facility and the
13 connection standard talks about end user customer, the data
14 they need. And once we have the data we can do studies and
15 we share with the adjacent planning coordinators.

16 And they have to comment and respond within a
17 specified timeframe that they agree with the study that's
18 been done that's noted by the impact. So we have to start
19 collecting the data to the transmission owner
20 interconnection process when this anticipated energy results
21 interconnect into the system because that's the jurisdiction
22 that they have, thank you.

23 MR. BAUMANN: Miss Wagner?

24 MS. WAGNER: So in Ontario most of our -- like I
25 indicated, we've got approximately 4,000 megawatts of

1 embedded generation. For the most part these embedded
2 resources were contracted through feed-in tariffs, and the
3 ISO is actually the counterparty to those contracts.

4 So from a static data perspective we do have
5 access to, like I had indicated, plate capacity -- standard
6 2 field type as well as delivered point. However, in
7 Ontario we have I guess that time of feed-in tariffs has
8 concluded and so we aren't procuring embedded resources in
9 that respect anymore.

10 We're looking similar to many folks here are
11 looking to integrate that into our wholesale electricity
12 market and so we realize that from a data perspective is
13 we've got to take another approach and how do we get access
14 to that data?

15 From a dynamic data perspective, a number of
16 years ago the -- as we were starting to see the increase in
17 penetration of renewable generation, DISO undertook a
18 renewables integration initiative. Part of that was to look
19 at visibility, forecasting and control of these -- of these
20 resources.

21 The outcome of that initiative was we now
22 implement centralized forecasting for renewable energy
23 generation, this includes the embedded generation as well as
24 dispatchability of these facilities. And in order to be
25 successful in that we do have, I guess, minimum DEO

1 requirements associated with that.

2 What that applies to is for the embedded
3 generation -- any renewable embedded generation that's 5
4 megawatts or greater, there are telemetry requirements --
5 real time telemetry requirements that they need to provide
6 to the ISO, whereas with some of the traditional natural gas
7 -- embedded natural gas generators that threshold is set at
8 10 megawatts.

9 But even with those increased enhanced data
10 requirements we are still -- that only represents a fraction
11 of the embedded generation within Ontario so we do
12 acknowledge that there is more work that needs to be done.

13 From a -- when we look at some of the distributed
14 generation that's uncaptured within our market rules, our
15 provincial energy regulator -- the Ontario Energy Board,
16 does have requirements for the local distribution companies
17 who are all regulated by the provincial regulator to meter
18 there and better generation -- so that data is available to
19 the ISO.

20 The only challenge is that's available on a
21 historical basis so it isn't real time. So that is
22 something that through the initiatives that I talked to
23 before, around that increased coordination between the ISO
24 and our local distribution companies, we're looking at what
25 those other potential data-sharing agreements are.

1 And to your follow-up question around that
2 balance between the reliability need for the data as well as
3 the trade-off with the economics. And I think that boils
4 down to really the relationship between the system operator
5 and the local distribution utility so to the extent I know
6 in yesterday's discussions the topic of this distribution
7 system operators came up and to the extent that with that
8 sort of relationship or that dynamic, some of that control
9 is not necessarily at the bulk level but at the DSO level is
10 potentially that aggregated data is sufficient and so you
11 don't need to necessarily impose as stringent data
12 requirements.

13 But in Ontario that type of future hasn't been
14 determined yet so when we looked at potentially the system
15 operator interacting with 60 plus distribution companies we
16 do see the need for potentially more granular data
17 requirements but at the same time we don't want to impose a
18 barrier to the integration of distributed energy resources
19 from an economics perspective.

20 MR. BAUMANN: Thank you, Mr. Loutan?

21 MR. LOUTAN: So we pretty much from a planning
22 perspective know the amount of DER, where it's located, the
23 capacity, the technology. Every year we send surveys out to
24 all the load serving entities in California within the ISO's
25 jurisdiction and we collect that data. We develop profiles,

1 you know. Profiles in the sense of we try to develop minute
2 by minute profiles for rooftop PV to determine the impact it
3 has on system operations.

4 We also do forecasts -- day ahead forecasts but
5 we have a third-party provider that provides us with this
6 forecast. We do make adjustments to the load. Just for
7 clarification, when I said the load is pretty much all
8 predictable today -- when you think about 5 years ago a load
9 was pretty much temperature dependent. You know what the
10 temperature is, you know what the load is. But with all the
11 variations and things like you know, as I said in my
12 response, electric vehicles -- everything else that's on the
13 system it makes it a little more difficult.

14 So whereas 5 years ago we know our trajectory
15 with where the load was heading, no you have a range which
16 makes it a little challenging for the operators. So even
17 though we know from our planning perspective what we have in
18 terms of DER, our rooftop PV, from a real time perspective
19 we have no telemetry and this is what makes it difficult.

20 So as I said, you know, the operators they are
21 always reacting to the system changes.

22 MR. BAUMANN: Thank you, Mr. Boemer?

23 MR. BOEMER: Jens Boemer with EPRI. I would like
24 to shift the attention on what are the low-hanging fruits
25 and what are the really important data aspects that we can

1 start harvesting as soon as possible.

2 And you know, one of the lessons that we learned
3 in my home country over in Germany is that if you can
4 collect data relatively easily, it's very wise to do so as
5 soon as possible because if you don't collect the data, it
6 costs you more to start collecting it later on.

7 And if you don't collect the data, you do not see
8 what's coming and you want to see what's coming especially
9 when you plan a power system. So we heard a lot about
10 planning data and operational data. It seems as if
11 processes could be put in place that start collecting data
12 for transmission planning including DER impacts with less
13 effort than making available real time data from DER's.

14 And if that was the case it would make sense to
15 start focusing on the data that is really important for the
16 planning and that certainly includes DER aggregate
17 capacities under given sub-stations. It includes the types
18 of DER that are connected there and if we look at the
19 stability and reliability of the balance system that we
20 planned several years into the future there seems to be one
21 critical data aspect that should need our attention and that
22 is the potential wide area tripping of DER based on
23 frequency and voltage disturbances.

24 I just want to mention one example that we
25 addressed over in Germany a couple of years ago and that was

1 the so-called 50.2 hertz problem which was a risk analysis
2 for hundreds of thousands of DER's connected to the
3 distribution system in Germany and it became clear that
4 those DER's were programmed to trip at frequency thresholds
5 that are very close to normal frequency.

6 None of the German transmission operators had
7 modeled that problem in their studies but just by, you know,
8 reviewing literature, understanding how interconnection
9 standards work, one was able to identify that there's a
10 prevalent risk. Unfortunately it never occurred that any of
11 these large scale trips happened when a lot of DER were
12 feeding into the system, but it was regarded as such an
13 importance that the German government set up a retrofit
14 program to reprogram the frequency trip settings for more
15 than 400,000 installations of distributed PV.

16 And I think it becomes clear that things like
17 that we'd rather want to see ahead of time and don't want to
18 have to consider when these DER's are already connected to
19 the system and I believe that collection of DER data as soon
20 as possible for planning purposes can help us address some
21 of these potential issues that we may have with increasing
22 the integration.

23 MR. BAUMANN: Thank you, Mr. Bielak?

24 MR. BIELAK: Thank you, Donny Bielak, PJM. Thank
25 you Jens, that was very insightful. From a data collection

1 standpoint PJM currently leads a voluntary data collection
2 effort. The -- it is voluntary so it's not -- it's not 100%
3 exact.

4 We can use that to develop some general profiles
5 as far as how that's going to off-set load, maybe
6 regionally. However, it doesn't give us enough granular
7 data for localized transmission impacts. And that's why we
8 would need the aforementioned data requirements in order to
9 gather that data to have the visibility.

10 I can indulge you in a quick example. I watched
11 a lot of Law and Order -- do I have to submit this to
12 evidence. The -- in a particular area off of a 115 KV loop
13 during outage and post-contingency conditions it was studied
14 reliably by both PJM and the TO that the outages were
15 reliable through peak conditions through traditional
16 modeling methods.

17 It turns out unbeknownst to either us or the
18 transmission owner there was an aggregate of about 80
19 megawatts of behind the meter solar off of a -- well
20 actually of about three feeders. However, post-contingency
21 they were all going to be fed radially from the same 115 KV
22 line.

23 So when we went through the typical summer peak
24 load about 1700, no issues observed on the bulk electric
25 system. However, once we got to about 2000 and the sun

1 started to set that load started to dramatically increase
2 and really caught off-guard the PJM operators, the
3 transmission owner operators and they had to take reactive
4 actions to mitigate the overloads that were not caught in
5 any type of day ahead reliability studies or day of
6 reliability studies.

7 And moving forward, if we've already seen it
8 once, with a low level of penetration that we have now we
9 can only expect to see it more often and more prevalent
10 moving forward and from a reliability standpoint we will do
11 whatever we have to do to maintain the system operating
12 limits as the RC and the TOP.

13 And I hate to throw this out there but that could
14 be up to and including load shed. So without this type of
15 data we could be looking at, you know, drastic emergency
16 procedures to maintain reliability on the bulk electric
17 system, thank you.

18 MR. BAUMANN: Thank you Mr. Hawkins?

19 MR. HAWKINS: Thank you Marcus Hawkins, with OMS.
20 I just wanted to quickly agree with some of the things I
21 heard from Jens and Tam about the availability of
22 operational and real time data.

23 In the MISO footprint, there's a varying ability
24 to even get that insight into real time operations and a lot
25 of it is determined by different state regulator decisions

1 on investments into various grid modernization, initiatives
2 and things like that.

3 So it would not be uniform throughout the MISO
4 region and therefore like Jens said, it might not be an easy
5 next step to take. And so we would encourage FERC to avoid
6 creating burdensome requirements and allow for some of that
7 flexibility for states to pursue their own policies in that
8 area and not require some expensive technology to gain that
9 insight when it may not be needed.

10 MR. BAUMANN: Thank you, Mr. Bekkedahl?

11 MR. BEKKEDAHL: Yes, Larry Bekkedahl, Portland
12 General Electric. I really appreciate Donald's example and
13 relating it to transmission slash in the sub-grid arena.
14 But if you move down to that distribution side where we have
15 to maintain an ANCI standard plus or minus 5% on 120 volt
16 basis and you could see these fluctuations happen very
17 quickly and you put yourself in those customers homes where
18 voltage is swinging one way or the other -- we don't have
19 equipment there that's protecting them.

20 You know damage to refrigerators and other
21 devices in the home you have to start to think about. So
22 that's created a curcality, of what we're talking about
23 when we start to say variable generation on and off, who
24 sees it, how do they see it -- those are the types of
25 impacts, serious impacts right on down to the homeowners.

1 So, it's a great example of what can happen if
2 you don't have insight, if you don't see it and you're not
3 able to control it.

4 MR. BAUMANN: Thank you, so we've heard from
5 several panelists on the planning and operational impacts to
6 the bulk power system reliability as DER penetrations
7 increase. To follow-up on that we wanted to ask what
8 potential reliability benefits or opportunities can DER's
9 offer to the bulk power system and what, if any, actions
10 need to be taken to unlock these benefits and
11 opportunities, Mr. Velummylum?

12 MR. VELUMMYLUM: Thank you Joe. I think it was
13 yesterday was it panel 3 Katie talked about we have to
14 capitalize the benefits the DER can bring to the system.
15 I'm going to give you an example of we focus so much on, you
16 know, on megawatts right?

17 So I'm going to give an example of let's suppose
18 you have a couple of DER's in a facility that could provide
19 megawatt support under Clyde's situations -- my colleague
20 here that you need to ramp up these, you know, due to the
21 changing load.

22 Well we have so many resources and these are
23 smart devices. They can do a lot of things. So we can have
24 one inverter providing the megawatts support but then you
25 have another question to ask just because you have the

1 megawatts support can you transfer it -- is it transfer
2 capability because you need voltage support to do that.

3 So then you can have another DER providing
4 voltage support while the others provide megawatt support.
5 So they work in tandem together so we have to look at it in
6 whole -- what these devices can do at the same time and what
7 kinds of benefits they can bring to a system.

8 So the technology is there but we have to
9 capitalize how we want to operate a system for megawatt
10 support, for volt support, for frequency support -- the
11 technology is there, they can do a lot of things.

12 So we have to call them in so this is where
13 visibility is important to the system operator. And he can
14 plan the system such that you have so much mega resources
15 for megawatt support and I can use so much for voltage
16 support or frequency too.

17 So I think it's very imperative that we don't
18 just focus on one problem here we have to look at it as, you
19 know, because they all interact. The systems are
20 interconnected. You can't isolate the system you know,
21 unless it's a radial line.

22 I think it's important we look at the collective
23 benefit that DER's can provide. But at the same time we
24 have to be very careful. What if they're not there to
25 provide the system help when we think they are there?

1 So we have to look at it from what aspects --
2 when they are there, when they are not there. And if they
3 are there how much can we count and how do we fractionalize
4 different benefits that we can reap from these devices -- so
5 that's very important and I think we need to stress that
6 point here, thank you.

7 MR. BAUMANN: Thank you Mr. Beckkedahl?

8 MR. BEKKEDAHL: Yes, Larry Bekkedahl, Portland
9 General Electric. And I give the example of how a
10 distributed energy resource really can help and benefit us.
11 And we've had for some time now as we bring on renewables,
12 all of a sudden what used to be fairly stable generation is
13 now moving on us on the generation side.

14 It used to be load would, you know, move very
15 slowly and we would move our generation to match that --
16 that's what balancing was all about. And now that we've got
17 variable generation going on it's really nice to have
18 variable load. So if we can flex load over here -- whether
19 it's demand response or it's distributed energy resources,
20 and help us to balance in a better way we get higher
21 reliability.

22 But to give you a real life story and share you
23 know, prior to joining Portland General Electric I was with
24 Bonneville. We were planning for a 500 KV line that needed
25 to be built in the Portland area to maintain reliability

1 because we had during the summer peak no generation from
2 south of Portland. Obviously if Portland was hot,
3 California was hotter -- there was going to be no
4 generation.

5 Well today with all the distributed energy
6 resources as a gentlemen from Cal ISO Clyde was mentioning,
7 they have over 16,000 megawatts of solar now. During that
8 solar summer peak now we see a generation coming our way and
9 that in effect now was the cause for Bonneville to cancel a
10 1.2 billion dollar project to build a 500 KV line.

11 So can we do things in a different way? Can we
12 find non-wire solutions by applying the technology --
13 absolutely. But I think you'll see those benefits as we go
14 forward not only grid level, but especially in the
15 distribution level.

16 MR. BOUMANN: Thank you, Mr. Tetlow?

17 MR. TETLOW: Jacob Tetlow with Arizona Public
18 Service. I thought I would talk about a couple examples on
19 operational impacts that I think are relevant. There's
20 obviously -- there's wins and there's losses and anytime you
21 deploy new technologies.

22 One of the -- a good example of a winning
23 opportunity in Arizona we deployed an 8 megawatt battery, an
24 8 megawatt hour capacity battery that actually deferred a
25 capital investment of a re-conductor of a 21 KV power line

1 -- pumpkin center -- 6 million dollar project and it's in
2 service today -- a great example of using a DER to solve a
3 non-wired traditional solution.

4 On the flip side of that we also see voltage
5 impacts. As I mentioned before, you know, where the DER is
6 on a given feeder will ultimately impact the reliability of
7 the voltage and as Larry mentioned as well, voltage
8 management is a challenge.

9 One of the operational impacts that came about to
10 us in that space was it actually got to the point where we
11 could see it even on the sub-transmission level at the 69 KV
12 level. And it required us to change the way we study our
13 system.

14 You know, traditionally, especially if you're in
15 Arizona, large air conditioning loads, 7300 megawatt peak
16 load, you really focus on that peak -- peak-load condition.
17 And what we've learned to do is to study are system at peak
18 renewables and at peak loads so it does require additional
19 work to make sure you're evaluating your system at multiple
20 different scenarios because it's not a dispatchable
21 resource.

22 When you asked the question about actions to
23 unlock I have two thoughts that come to mind there as far as
24 allowing utilities to get the data -- to give us the data,
25 to model the systems, to operate the systems with a focus on

1 safety, reliability and efficiency.

2 And the better the data the better we will be
3 able to capitalize on the efficiency. As far as it relates
4 to the technology solutions, technology is moving so fast
5 that my ask would be in Arizona Public Service is allow us
6 the flexibility to deploy the right technologies. Don't get
7 overly rigid on what solutions have to be provided.

8 Technology is moving very quickly and the
9 solutions will vary by utility and by state and by region
10 and by operating of the environment. So that flexibility
11 will be important for figuring out what technology provides
12 the best value to our customers.

13 MR. BAUMANN: Thank you, Mr. Loutan?

14 MR. LOUTAN: How can DER help? So one lesson we
15 learned on transmission interconnected variable energy
16 resources is to a degree of high levels of renewable
17 resources on the grid, we found out that it was necessary
18 for these variable energy resources to provide essential
19 reliability services like voltage control, frequency
20 control, off-ramping capability.

21 Now the same thing we started to see we will need
22 -- as I said we already have days with 25% penetration of
23 load being served by distribution resources. So we think
24 one of my answer's going to be you know, DER's should also
25 have the capability to provide essential reliability

1 services.

2 By 2020 as they said we're going to have about
3 12,000 megawatts of behind the meter rooftop PV -- that's a
4 huge part of your supply so pretty soon we're going to see
5 50% of that supply being from rooftop PV.

6 We don't have in the capability to provide
7 essential reliability services. It's going to be difficult
8 to control the grid, so, that's something we need to think
9 about.

10 MR. BAUMANN: Thank you, Mr. Bielak?

11 MR. BIELAKE: Thank you Donny Bielak, PJM. I'm
12 very intrigued by the non-wire solutions and the ability to
13 do that. As it was mentioned before it was you know, how
14 much can you count on this?

15 I'd like to point out that PJM has a market and
16 provides market incentives for performance. So one of the
17 key ways of locking this potential would be to encourage the
18 market participation of the DER and then we could incent
19 them further performance. We know that we can count on them
20 reliably to off-set any type of loads and maybe defer any
21 type of transmission upgrades that might be required.

22 And then we would also have the data we would
23 need in order to -- in order to implement those solutions.
24 So I think that's certainly an option that we can work with.
25 If the -- if the generators or I'm sorry, the DER's are not

1 going to participate in the market we would still like to
2 try to use that data as much as possible but I think there's
3 going to be a lot of studies and reliability analyses that
4 would have to go into that and the only way that you are
5 going to be able to do that to determine how much you can
6 rely on the needed resources is through the proper amount
7 of data, thank you.

8 MR. BAUMANN: Thank you, Mr. Boemer?

9 MR. BOEMER: Jens Boemer with EPRI. I would
10 like to answer your question -- what are the steps to unlock
11 the potential of contributing benefits from DER's to the
12 bulk power system. And I would like to remind us that the
13 very first step is to make sure that all these devices are
14 having the capabilities of providing services.

15 We have heard from Ganesh from NERC and others on
16 the panel that these devices are already smart devices now a
17 days and that statement is -- can be backed up and supported
18 by the fact that IEEE Standard 1547 has been published last
19 week and some states have a few years ago already published
20 interconnection standards and guidelines that require smart
21 inverters or other smart DERS.

22 What's important to understand is that there's a
23 difference between having the capability to provide these
24 services which is required in interconnection requirements
25 and actually providing the services.

1 So with these new interconnection standards we
2 have laid the foundation for all of these devices that are
3 going to connect under the jurisdictions where these new
4 standards apply to be capable of providing the services.

5 That means that once these services become
6 necessary for bulk power system operations, we have the
7 ability to plug into that capability at the right time.
8 It's important to recognize that this seems to be the state
9 of the art right now and we do not expect any additional
10 costs that DER vendors would require to -- to implement
11 these capabilities compared to other devices on the market.

12 And one important aspect is also that the
13 capabilities are three-fold. The first part of the
14 capabilities relates to autonomous functions and these
15 autonomous functions they do not rely on communication or
16 remote control.

17 The second part is these new standards,
18 especially IEEE Standard 1547 now requires the communication
19 capability also from all DER's once it's adopted in a
20 certain jurisdiction irrespective of the size of the type of
21 the DER.

22 So that includes the small scale rooftop PV
23 systems that would connect under the new standard. They
24 need to be capable of communicating one out of three
25 specified protocols. Well that said -- it's written on a

1 different page when that capability would actually be
2 utilized and especially with regard to communication
3 capability one would have to roll out the communication
4 infrastructure or telemetry to actually plug into that
5 capability.

6 Once this communication infrastructure was in
7 place these devices will be capable of not only sending
8 information but also receiving information which then
9 relates to the control from the real time operations, thank
10 you.

11 MR. BAUMANN: Thank you, Miss Wagner?

12 MS. WAGNER: Thank you Tam Wagner from the IESO.
13 So I would like to echo a number of the comments that we
14 heard this morning as well as what we heard from Panel 3
15 around some of the benefits that DER's could provide.

16 So to the extent that they could provide a number
17 of reliability services from a capacity energy and certainly
18 services sub-frequency control in regulation and just to
19 draw on a point that Donald from PJM indicated at the ISO as
20 a reliability coordinator we will do whatever is necessary
21 in order to maintain reliability.

22 `And DER's can be a part of that solution. They
23 can be a part of what we've talked about in Ontario is they
24 can be a tool in our reliability tool box and part of how to
25 enable the successful integration of them is on the data

1 requirements perspective.

2 And to Jacob's point around not prescribing
3 solutions -- Ontario went through a period where we were
4 prescribed solutions and prescribed targets for distributed
5 energy resources and we are moving away from that and
6 putting them more into -- integrating them more into our
7 competitive market functions.

8 And in doing that we find that the DER's can
9 provide that reliability service but also in a cost
10 effective manner so it's really being able to balance the
11 reliability aspect of it as well as the economics piece.

12 MR. BAUMANN: Thanks and I'll quickly go to Mr.
13 Hawkins before we turn to our next question.

14 MR. HAWKINS: Thank you, Marcus Hawkins with OMS.
15 Just one thing that didn't get mentioned about the non-wires
16 alternatives solutions is where that consideration takes
17 place in the traditional transmission planning process is a
18 struggle and giving a DER solution -- kind of apples to
19 apples comparison to the traditional wire solution has been
20 a conversation within MISO of how much time is needed, is it
21 an actual reliable solution and what type of agreements need
22 to be in place, what visibility needs to be in place for
23 that solution to truly mitigate the issue that has been
24 identified.

25 And so that's an area that we've continued to

1 struggle with in the MISO region.

2 MR. JACKSON: Good morning. How are long-term
3 projections for DER penetration developed?

4 MR. LOUTAN: Clyde Loutan, California ISO. A
5 couple of things -- one, it depends on the state's
6 environmental policies. That drives DER installation. So
7 to me like California loads -- as I said we survey the loads
8 of different entities on a yearly basis to see what's coming
9 in. We look at three years to see what's coming in within
10 our controlled jurisdiction across three years so we can
11 plan in terms of the operational challenges we expect to see
12 -- and try to mitigate it out ahead of time.

13 One thing also we do to try to address that is we
14 evaluate our performance on an hourly basis right? So, each
15 hour we look to see did we help to support the
16 interconnection frequency or not? So we use all of that
17 data that we collect. We build profiles and then we look up
18 and then we look back.

19 So looking back on every single day we look and
20 see which hours it is -- we tell it to lean on the
21 interconnection or we are able to meet the intra-hour ramps,
22 the multi-hour ramps -- things like that.

23 We did see, you know, some challenges that
24 decided to show up but I think if we looked at standards the
25 way they were developed like for instance, NERC has four

1 standards that we need to comply with in real time.

2 And if you look at those standards, you know,
3 just on the surface, you would not see the potential rules.
4 So we actually have to look for places where we would have
5 challenges, so by looking at the system performance or how
6 well we can support the interconnection frequency on an
7 hourly basis, we can tell, you know or we can see impending
8 problems ahead of time and try to solve those.

9 So by doing that we were able to go back to NERC,
10 you know, specify here -- we have a ramping problem out west
11 and now ramping capability is an essential reliability
12 service to integrate high levels of renewables, so.

13 MR. BAUMANN: Mr. Bekkedahl?

14 MR. BEKKEDAHL: Larry Bekkedal, Portland General
15 Electric. Mr. Jackson this is a tough question and it is
16 one that I think we're all wrestling with but I think
17 there's some indicators out there -- those states that are
18 mandating certain programs, whether it be on storage, that
19 drives obviously the direction you're going -- how many
20 electric vehicles.

21 So in Oregon just saying we're going to put
22 50,000 vehicles in by the end of 2020 drives all of a sudden
23 decisions of, you know, how you're going to move and you
24 look towards mass transit -- are they going to do high or
25 fast charging battery stations for buses you know for a 15

1 minute roll-out on a bus -- that means a megawatt of a
2 battery sitting there to charge that bus as it goes by and
3 how many stations do they want and how many buses?

4 I mean you're working to think about those things
5 as they move forward. I commend you, you were recognizing
6 in your technical study with EPRI working on the open BSS
7 how to do the models for distributed resource planning --
8 how does that fold in to what we do for our IRP process --
9 that becomes critical for us when we're trying to think
10 ahead as we see those and take advantage of it.

11 I will also say that it -- our AMI meters now we
12 can start to think and look and examine customers as to
13 what's base, what's variable loads, what are they doing in
14 terms of demand response themselves.

15 So we're trying to understand at the customer
16 level because if you can forecast at the customer level you
17 can roll that up to the feeder level, you can roll that to
18 the sub-station, you can roll it right up to a utility base.
19

20 So, again what used to be studied at the high
21 level for a utility, you're trying to do it now in the micro
22 level down at the customer base. And I guess my last
23 comment is -- is how do we incent our customers? How are we
24 incenting this to take place will drive a lot of these
25 programs so whether it's legislated, whether it's pushed by

1 a state Commission or actions that you take are going to
2 drive much of what takes place in this space.

3 MR. BAUMANN: Thank you, Mr. Bielak?

4 MR. BIELAK: Thank you, Donny Bielak, PJM.

5 Echoing a lot of Larry's comments here, so a lot of our
6 long-term projections are going to be based off of the best
7 data that we have available currently to us which can be
8 rather scant.

9 I had already mentioned the voluntary program for
10 data collection that PJM conducts -- so we use that to try
11 to develop our longer term forecasts. But I'm sure you're
12 all familiar with GIGO -- garbage in, garbage out.

13 So I mean if you're going to have better data up
14 front, you're going to be able to have better models, better
15 forecasting, more accuracy later on. For an example the
16 behind the meter DER is inherently baked in to the meter
17 load.

18 Now we come up with our load forecasts on a
19 daily, hourly, minute by minute basis, and we noticed last
20 summer our summer peaks just weren't quite materializing the
21 way we would have traditionally expected them to.

22 Now we didn't have enough data to drive and point
23 to anything in particular, but the working theory is that
24 there were behind the meter installations that were
25 off-setting load through the peak summer days -- probably

1 rooftop solar off-setting our air-conditioning and -- but
2 then that's a little reactive.

3 So we don't -- we didn't go into the operating
4 day having an accurate load forecast. Our load forecast was
5 slightly high and then we had to react to that as we got
6 more data points because we're constantly revising our
7 forecast models to expect that the loads in particular areas
8 would be less.

9 So with this aforementioned data with it we can
10 develop better forecasts in advance, not just long-term but
11 also just for an operating day which is going to increase
12 reliability, thank you.

13 MR. BAUMANN: Mr. Hawkins?

14 MR. HAWKINS: Thank you, Marcus Hawkins with OMS.
15 In the MISO region there's also a voluntary survey that is
16 used as part of a third-party consultant's effort to produce
17 a long-term projection of DER in the footprint and that's
18 intended use has been contemplated to be the transmission
19 planning side of things and so being that it's voluntary in
20 their most recent effort there was low participation on
21 getting specific DER information back into that survey so
22 they ended up using a lot of already publicly available
23 data to produce their forecast and that included different
24 things as technology adoption curves and economic
25 projections and things like that.

1 But another part of that process was actual
2 outreach to states and other -- other parties to get a sense
3 of the policy drivers that are increasing adoption in
4 different parts of the footprint so there's some good back
5 and forth in that process on what might lead to adoption in
6 the future.

7 And then also different states have different IRP
8 processes that they require certain looks at DER penetration
9 in the future.

10 MR. BAUMANN: Thank you Mr. Tetlow?

11 MR. TETLOW: Yes, Jacob Tetlow, Arizona Public
12 Service. I think it's a great question, I think it's a big
13 challenge for all of us to try to project what distributed
14 energy is going to do. To answer the question directly we
15 plan our distribution system on a five-year plan.

16 We plan our transmission on a 10-year forecast
17 because of the time it takes to install the larger capital
18 projects. So that inherently has some challenges as it
19 relates to the drivers behind DER penetration, whether it's
20 a market dynamic, a policy of either state or a federal
21 level, the technology which is -- in and of itself very
22 difficult to predict, and then how as a utility you try to
23 shape your rate design to send the right price signals.

24 I think that's a big challenge for all of us and
25 I would only suggest that the better we can add certainty to

1 any of those variables, the better off we would be for the
2 ability to predict the distribution impacts to DER's which
3 then plays into our transmission finding decisions that are
4 a much longer timeframe.

5 MR. BAUMANN: Thank you, Mr. Velummylum?

6 MR. VELUMMYLUM: Yes, thank you Joe. I just
7 wanted to, you know, you talked about numbers right. And we
8 have a reliability assessment group led by John Mauro, Tom
9 Colliman, Nicole and Elliott, my colleague here, I'll give
10 you some numbers when you ask about, you know, a lot of
11 utilities that repeat that.

12 The 2017 LTRA report if you read the report
13 talked about, you know, the penetration of DER across the
14 North American footprint continued to grow and it's
15 estimated of more than 26 gigawatt of non-utilities
16 capability will be added to the network by 2027.

17 MR. BAUMANN: What's the total generation in North
18 America -- does anybody know?

19 MR. VELUMMYLUM: I mean if you read
20 the LTRA report you should know. 26 gigawatt right? You
21 know what the North American generation is -- about 1200
22 gigawatt so do the math, 26 divided by 1200 -- that's what
23 we're looking at.

24 This is in addition to, you know, by 2027 so the
25 numbers are growing. So it's time, you know, we start

1 taking this seriously. One thing these devices have that we
2 should take advantage of and that's speed. These things can
3 act very fast.

4 Speed is in our hands folks, let's take advantage
5 of the system and technology, thank you.

6 MR. BAUMANN: Thank you I was told there would be
7 no quizzes today, so Miss Wagner?

8 MS. WAGNER: So within Ontario with regards to
9 how we do long-term projections for distributed energy
10 resources -- like I had indicated is because most of our
11 embedded generation has been procured through long-term
12 contracts. The ISO has had the access to nameplate capacity
13 and such.

14 So we do incorporate that into our long-term
15 planning projects through energy system modeling and scaling
16 it up to the contract capacity levels, but as I had
17 indicated is there is a bit of a big paradigm shift in
18 Ontario and to the extent that we aren't procuring those
19 facilities through contracts anymore.

20 And I think similarly as to what John had
21 indicated is we are seeing a lot more of this distributed
22 energy resources being behind the meter so it does introduce
23 a lot more uncertainty around our long-term planning for
24 these resources.

25 We do also have to incorporate as some of my

1 other panel members had indicated is what the energy policy
2 is around electrification of vehicles so from a residential
3 homeowner vehicle perspective but also from a broader
4 electrification of public transit.

5 So we're finding that with I guess in 2016, we
6 issued a long-term Ontario planning outlook, and we are
7 finding that are projects were now not so much definitive
8 but we were projecting more around the ranges in order to
9 capture some of that uncertainty.

10 MR. BAUMANN: Thank you Mr. Boemer?

11 MR. BOEMER: Jens Boemer with EPRI. I think it's
12 important to differentiate what the steps are to develop
13 long-term DER adoption forecasts and I think it really
14 starts with having a good understanding of the status quo --
15 meaning what are the DER connected to the system today?

16 And then once we know that one can go through
17 scenario analysis and maybe stakeholder processes to get a
18 better understanding of how many DER's will have connected
19 in the planning horizon of 5 to 10 years.

20 With regard to that first step we see that the
21 practices of collecting data for the status quo very-quite
22 significantly among the regions -- those states that may
23 have dedicated rebate programs may have public records
24 available -- for example on a postal code resolution that
25 could help understand what DER's are connected to the system

1 today even without having the need to closely coordinate
2 with distribution companies who may maintain that same data
3 in more granular resolution.

4 Those states that do not have these public
5 records available, they may be lucky having integrated
6 utilities that have that data and can relatively or could
7 relatively easily exchange that data among their
8 distribution planning and transmission planning departments.

9 And we look forward to seeing to what extent
10 distribution companies who often maintain DER data in their
11 GIS, geographic information system, may leverage that type
12 of data for distribution planning and once it's available
13 they are also for transmission planning purposes.

14 Now with regard to the future, the development of
15 the long-term projections there's a range of methods
16 available that may range from simple scaling of existing
17 installations in order to match future say statewide DER
18 targets all the way to more sophisticated methods, either
19 top down methods such as using resource potential models,
20 for example EPRI's U.S. region model.

21 Or, even both market approaches where a
22 customer's behavior would be considered in order to forecast
23 DER adoption, especially residential adoption from the
24 bottom up. All of those models and methods come with some
25 uncertainties and therefore it seems important to include

1 stakeholders in the discussion and in the verification of
2 these numbers as early on as possible.

3 And since I referred to one example in Germany in
4 a previous answer I'm going to refer to a similar example
5 here in that context. In Germany the 10-year long-term grid
6 planning scenarios are developed in a very open, very
7 sophisticated stakeholder process and different scenarios
8 with different policies are considered and although we will
9 never be able to fully predict the future that gives us the
10 best data available to make reasonable assumptions and also
11 look into different cases and what the potential impacts on
12 the bulk power system may be.

13 MS. TABA: Thank you, I just had a basic
14 question. I've heard the concept of hosting capacity being
15 mentioned by several utilities as a practice to determine
16 how much DER's they can actually accommodate -- is this
17 something that many utilities do, is this a common practice?
18 Does this help at all with trying to forecast how much DER's
19 you can integrate in your system?

20 MR. BAUMANN: We'll start with Mr. Tetlow?

21 MR. TETLOW: Yes, Jacob Tetlow, Arizona Public
22 Service. To answer the question directly, yes we do hosting
23 capacity as the Arizona Public Service. We watched as some
24 of the California utilities led the way, I think, in some of
25 that space but it was really about, you know, as a customer

1 focused utility you want to enable your customers to do what
2 they want to do and the quicker we can accommodate those
3 requests -- well understanding what the impact would be to
4 those request are helps you expedite that process and model
5 your system.

6 So we have taken our high penetration theaters,
7 about a quarter of our system, and that's been our initial
8 starting point as, you know, so if you have 1300
9 distribution theaters we have about 250 of them today that
10 we have focused on to identify what those system impacts are
11 of the DER's such that we can accommodate in an expedited
12 fashion additional DER's and understanding what the
13 constraints will be operationally as you accommodate the
14 additional DER's.

15 MR. BAUMANN: Thank you, Mr. Bekkedahl?

16 MR. BEKKEDAHL: Larry Bekkedahl, Portland General
17 Electric. So just to follow on to Jacob's a little bit is
18 that we -- yes, many of us have been using and EPRI was
19 leading, thanks to Mr. Boemer here leading that charge to
20 help us all to develop what those studies look like and as
21 Jacob mentioned earlier we used to do 5 year studies.

22 Now you've got to understand what's that feeder
23 going to do on a daily/hourly basis to be able to make a
24 better forecast. You can't rely on that worst case
25 scenario. You need to understand and again the netting

1 affect, the masking of as you think about how that's
2 deployed, so there's a lot more involved in being able to
3 do that today.

4 But the majority of the utilities are now moving
5 into that space.

6 MR. BAUMANN: Thank you and Mr. Boemer?

7 MR. BOEMER: I just want to clarify what we
8 understand by hosting capacity since it may not be clear to
9 everyone. So hosting capacity is a method that uses
10 sophisticated distribution grid data and information on a
11 potential DER interconnecting to a given distribution feeder
12 and then run quasi stationary load flow, time theory
13 simulations and also to a certain extent study state
14 short-circuit simulations in order to develop a better
15 understanding of the thermal impacts on the distribution
16 system and the voltage profiles and potential distribution
17 protection impacts from DER's.

18 And after all this information is highly
19 aggregated and visualized in what we call heat maps that can
20 indicate how much DER may be able to interconnect to certain
21 areas of the distribution system.

22 MR. HERBERT: Alright thanks guys. This question
23 largely focuses on the organized markets and I think Donald
24 and Clyde and Tam, you guys have touched on it a little bit
25 already but in terms of DER's that are participating in the

1 markets, assuming that there is sort of a baseline amount of
2 information that the market operators are going to have
3 about those resources, I'm curious whether there is
4 additional information that might be necessary outside of
5 the information that would already be provided by those
6 DER's as a market participant that would be necessary for
7 effective planning and operation of the system.

8 And if that isn't already sort of included with
9 that resources information as a market participant, you
10 know, how would you go about getting that information. I
11 wonder if you can also kind of talk about this in the
12 context of DER aggregations and the potential for an
13 aggregator to sort of act as a funnel for that information
14 between the individual DER's and the wholesale market
15 operator and sort of the ability for it to provide not only
16 sort of that static data for the DER's when they initially
17 enter the market but also some of that dynamic data about
18 the capabilities of sort of the collective resource and
19 whether that may obviate the need for some of the data from
20 the individual resources as well.

21 MR. LOUTAN: So as I said at the beginning the
22 system planners need certain types of data to do their
23 analysis, a stability analysis, other types of studies to
24 determine if the system is stable.

25 When it comes to operations we need different

1 types of data to participate in the wholesale market we do
2 have requirements. So let's say you want to participate in
3 ancillary services -- we have telemetry requirements, we
4 have checks that we do.

5 DER would have to meet the same requirements as
6 transmission connected resources. Now the reason being we
7 have standards that we need to comply with. One of those is
8 something called disturbance control standard whereas if
9 anything happens on the system we have 15 minutes to react.

10 15 minutes and 10 second is too late right -- we
11 could get fined. So if the expectation of the transmission
12 is you provide 4 second data so that we can do this
13 calculation then the expectation would be similar if DER
14 individual was an aggregate, what about ancillary services
15 providing things like that.

16 If they want to provide -- well this is not
17 ancillary services, high-frequency response. We have
18 certain timeframes where we need that response. The
19 expectation of the transmission is within 52 seconds. We'd
20 expect to see similar type response from DER, what are the
21 parties able to provide these types of services.

22 MR. BAUMANN: Thank you, Mr. Bielak?

23 MR. BIELAK: Thank you, Donny Bielak, PJM. So
24 from a market participating DER we would fully expect PJM
25 operations and markets are constantly working together so

1 the markets aren't going to implement something that's not
2 going to get operations the applicable data that it needs to
3 adopt it reliably.

4 So I have no concerns with that. With regards to
5 aggregation -- aggregation can certainly provide benefits to
6 operations. We typically talk to certain, you know, market
7 operators and they manage entire fleets of generators but --
8 so we're used to calling on say like a unit by unit basis.

9 That would just be logistically impossible if
10 we're trying to call down to every 10 kilowatt DER of the
11 system. So if you aggregate them up to an appreciable level
12 and we could work -- we could work with our, our markets on
13 that to determine the appropriate thresholds for that, that
14 actually makes things smoother and easier for an operational
15 standpoint in order to be able to control these devices if
16 they are being participating in the markets, because we just
17 simply can't communicate with every resource if it's just
18 too small.

19 So I would -- I would say that we would leave as
20 far as determining those parameters operations and markets
21 and our stakeholders would all work together to come up with
22 an amicable outcome for that, thank you.

23 MR. BAUMANN: Finally Miss Wagner with the final
24 words for this panel.

25 MS. WAGNER: Thank you , Tam Wagner from the ISO.

1 So with regards to participation in the wholesale
2 electricity market I think we need to also kind of take a
3 step back as to what the purpose of that participation is
4 and ultimately from a system operator perspective is -- it's
5 ultimately in order to deliver a reliability service and to
6 like Clyde indicted from California, is there are
7 requirements that we need from a responsiveness perspective
8 and part of that is being able to have the -- whether it's
9 the dispatchability of those resources or even just knowing
10 what the response of those resources are.

11 But not to say that that needs to be done at a
12 super granular level -- again it comes back to my previous
13 point around what is that interaction from a system operator
14 perspective with the local utilities or the distribution
15 system operators and what have you.

16 And I think that relationship will define the
17 nature of the data that's required and that's some of the
18 work that we're doing with some of our initiatives with our
19 local distribution utilities with like I mentioned, we've
20 got over 60 utilities in Ontario that range in size and
21 complexity.

22 And one of our -- our largest utility is the
23 second largest municipally owned utility in North America so
24 their capabilities are much more advanced than some of our
25 -- some of our smaller utilities and such and so we're

1 working to find what that ideal solution is from a data
2 requirement perspective, recognizing that there are specific
3 needs in order to maintain reliability that currently we
4 impose on those more traditional generators and we need to
5 determine what that equivalent data requirement is for the
6 distributed energy resources.

7 MR. BAUMANN: Thank you all that concludes the
8 Panel 4 today. I want to again take the time to thank the
9 panelists not only for their time and effort in attending
10 the Conference today but for providing us with informative
11 answers on this panel.

12 We will adjourn until 10:45 at which point Panel
13 5 will begin, thank you very much.

14 (Break 10:33 a.m. - 10:50 a.m.)

15 MS. SCHMIDT: Alright welcome to Panel 5 and
16 thank you all for being here. Panel 5 will discuss the --
17 How DER's are currently modeled, particularly in planning
18 and operation studies and what we might need or what we
19 might want them to look like in the future.

20 And as a reminder for the panelists, please turn
21 on your microphones as you speak and apparently people in
22 the back are having some trouble so definitely try to speak
23 loudly into the speakers thank you.

24 I'm going to announce the panelists as well. So
25 we have Shay Bahramirad, from -- she's the Director of

1 Distribution System Planning and Smart Grid Innovation at
2 the Commonwealth Edison Company;

3 We have Jens Boemer, is the Principal Technical
4 Leader in the Transmission Operations and Planning Group at
5 Electric Power Research Insitute;

6 We have Ning King who's the Staff Scientist at
7 Argonne National Lab; we have Dennis Kramer who is the
8 Senior Director of Transmission Policy, Stakeholder
9 Relations and Business Development at Ameren Services
10 Laboratory;

11 We have Marija Prica, who is Assistant Professor
12 at the Case Western Research -- sorry, Western University
13 and she is also a visiting professor here at FERC who helped
14 us with our DER studies so thank you again Marija Prica.

15 And we have Binaya Shrestha, who's the Regional
16 Transmission Engineer at California ISO and we also have
17 Ganesh Velummylum who is a Senior Manager and System
18 Analysis at NERC, and we have Brant Werts, who is the Lead
19 Engineer in DER Technical Standards at Duke Energy
20 Corporation.

21 And we're going to jump right into questions 1
22 and 2. So our first set that we're going to look at are --
23 What are current and best practices for modeling DER's in
24 different types of planning operations and production cost
25 studies and to what extent are capabilities and performances

1 of DER's currently modeled?

2 MR. SHRESTHA: Good morning my name is Binaya
3 Shrestha and I'm with California ISO. And first I would
4 like to thank for this opportunity to be part of this panel
5 and to answer the question, you know, the current practice
6 at the California ISO in transmission planning group.

7 Just to give you a little bit of context my
8 colleague Clyde tossed out some numbers and that was related
9 to renewables and behind the meter solar and I want to give
10 out some numbers in terms of DER.

11 When I say DER here it includes load modifying
12 DER's like demand response and energy efficiencies and also
13 the generating resource-type DER's like behind the meter PV
14 and could be in front of the meter PV.

15 So with that said what we're seeing for the
16 planning horizon for next 10 years in terms of the DER
17 capacity is this is based on California Energy Commission
18 forecast. They're responsible for coming up with the load
19 forecast which we use in the planning studies. So 2017 we
20 had a little more than 7,000 megawatts of DER and the
21 prediction for it to grow by 2030 is close to 30,000
22 megawatts.

23 So given the system which is about 50,000
24 megawatt today and the gross load is projected to grow to a
25 little less than 60,000 by 2030. So we're talking about

1 almost 50% in terms of capacity but we should keep in mind
2 that a big portion of his is from behind the meter solar
3 which has, you know, relatively less impact on out in the
4 peak timeframe when we're talking about the peaks and all
5 that.

6 So going back to the current practice how we
7 model this is the planning studies -- like I said if we're
8 creating a case for 2030, we have to model about 30,000
9 megawatts of this DER and more than 50% of that is from
10 behind the meter solar.

11 The other big component is the uncommitted energy
12 efficiency and the other components are like demand response
13 and known PV behind the meter generation. So, when we go
14 about modeling this for a load modifying-type DER like
15 demand response and energy efficiency, those are modeled as
16 aggregated negative load at TND interface.

17 And for the generation resource type DER like
18 behind the meter PV, those are modeled as aggregated single
19 generator at the TND interface. And in front of the meter
20 connected solar are either modeled as individual generator
21 or it could be modeled as aggregated and really depending
22 upon the size and whether or not the resource has the
23 California market ID, whether or not it participates in the
24 market.

25 So that's about how we model. So in terms of the

1 options available for modeling interaction between
2 transmission and distribution based on the current practice
3 it's pretty much limited as you can understand, you know,
4 the transmission model does not include detailed model for
5 the distribution. It just stops at the TND interface.

6 So the numbers we can see other than, you know,
7 the load will probably trip under certain contingency
8 conditions in the transmission system so that's pretty much
9 what we can see impact on the distribution side.

10 But there's a little bit more we can see on the
11 transmission side because of what's happening in the
12 distribution side based on how detailed we can model. So we
13 can go into details like composite load model later in the
14 discussion, but that's what I have to respond on this
15 question, thank you.

16 MS. SCHMIDT: Thank you Mr. Shrestha, I believe
17 that Miss Bahramirad had the tent up?

18 MS. BAHRAMIRAD: Shay Bahramirad from Com-Ed.
19 Thank you for the opportunity to be here and part of the
20 panel. Com-Ed is an electric utility and provides
21 electricity to about 4 million customers.

22 In terms of answering your questions on the
23 modeling I'm going to answer it from transmission
24 perspective and distribution. At this point in city/state
25 analysis the distributed energy resources connected to the

1 grid are not explicitly modeled on the transmission -- sorry
2 -- it means that the DER's are treated implicitly as
3 negative load as part of the loads connected to the
4 transmission grid.

5 For the current practice DER are not modeled also
6 in dynamic studies however we are thinking about different
7 ways of modeling DER's such as documented NERC guidelines.
8 And that's something that we may consider in future with
9 increased penetration of DER in our system.

10 As far as I know there is not an industry
11 recognized best practices for this so far and currently
12 there is no DER model for interaction between distribution
13 and transmission.

14 On the distribution side we do interconnection
15 studies for the DER connected to our system and we currently
16 model them in distribution software side utilizing back-up
17 transmission impedance and study voltage level.

18 We can determine to what level DER will flow back
19 into transmission system and working closely with the
20 transmission planner to determine if there is any issue on
21 the transmission side.

22 Recently we've been working on a much bigger
23 project it's a 10 megawatt load that and 10 megawatt
24 distributed energy resources that is going to connect to a
25 privately owned campus micro-grid. For that one we are

1 planning on modeling solar as well as storage and other
2 distributed energy resources and looking into the impact and
3 the configuration as in an RTDS lab in Burma to understand
4 the impact and refining the models.

5 MS. SCHMIDT: Thank you, I think maybe Mr.
6 Velummylum?

7 MR. VELUMMYLUM: Thank you so much again for the
8 opportunity to be here on Panel 5. I just wanted to and I
9 know I'm going to say a speech here I know that's not my
10 jurisdiction but I'm going to sell you two items here.

11 NERC and the industry have published two
12 reliability guidelines -- I hope the camera could see this,
13 so folks it's out there, it talks about -- I'm going to talk
14 about current practices and then what the capabilities are.

15 So note to the industry stakeholders -- we have a
16 great team, Brian Quinn, it's approved by the planning
17 committees. John Mauro, you know, who's great and
18 encouraging all of these different efforts, my team, my
19 engineers continue to use this guideline Elusia Muhammad, to
20 educate the industry.

21 What is the best modeling practice out there? So
22 right now there are different types of models -- I'm going
23 to talk to you about some of the models here. We talked
24 about aggregation right? There are different types of
25 models for aggregation we can use one type of model.

1 For detailed modeling the guideline talks to you
2 about what kind of modeling you need to use. So there are
3 information in there that current best practices that we had
4 asked the industry to use, but again, I'm going to just say
5 the speech. Like a real estate person right -- location,
6 location, location.

7 Here I'm going to tell you models, models,
8 models. Let's get the models in. We have the capability,
9 they are there already and they're getting better, you know.
10 We need to start using this reliability guidelines to
11 capture those different implications.

12 Coming back to my colleague here where she
13 mentioned about the BS is the balance system right, I mean
14 it's Study 1 Phase, Study A Phase we know what B Phase, C
15 Phase is going to be -- they're balanced. But when you talk
16 about distribution it's unbalance because you can have a
17 feeder with Phase A and Phase B 5 miles and at Phase C 20
18 miles.

19 You can't connect the balance with an unbalanced
20 system -- you're going to cause problems, you know. So I
21 think Argonne and Ning is going to talk about, you know,
22 some of the tools that you're working how to get that, you
23 know, figured out.

24 What I'm saying is that the guideline is there.
25 It talks about different ways you can model them and what

1 best level, KV level to model them. It talks about the
2 megawatt -- what you need to look at and it talks about
3 steady state studies use this model -- PVD1.

4 Now if you want to look at the capabilities that
5 we talked about today -- frequency, affected control, volt,
6 then you use the DER model which can capitalize all the
7 different features that this device can be.

8 So the models are there, the reliability guides
9 are there so I strongly encourage the industry -- now we
10 have system and a modeling sub-committee that has different
11 sub-committee that reports to them.

12 Like right now we have a load modeling task
13 force, PPMBTF that are great task forces that are working
14 with the industry, educating the industry, coming up with
15 ramping -- so if you want to participate I'll be more than
16 happy that these committees exist.

17 We're constantly working with the industry
18 because NERC doesn't own this data, it's the industry that
19 owns the data, they own the inverters. So we are working
20 with the industry to help us educate everyone else, you
21 know, different challenges that people are experiencing and
22 that's why the different sub-groups within NERC that help to
23 put this reliability guidelines and we are continue to
24 refining them.

25 So it is there but we just encourage people to

1 start using them to satisfy Mach 32 requirements that a
2 transmission owner, planning committee needs this
3 information from the distribution provider, the load entity,
4 so I encourage people to start using this reliability
5 guideline.

6 They are posted on our website, you know, under
7 reliability assessment and system knowledge, they're all up
8 there so I encourage it, thank you.

9 MS. SCHMIDT: Thank you, we're going to go down
10 the line starting with Miss Kang?

11 MS. KANG: Thank you Commissioner, thank you
12 Ganesh for already the introduction. So I am from Argonne
13 national Lab. So we are a non-profit organization reporting
14 to the Department of Energy and we conducted research and
15 development for the public benefit.

16 So I think I just wanted to go back and reiterate
17 what Ganesh mentioned this NERC published DER report --
18 actually on guidelines on what's the best practices for
19 modeling of DER's. And ideally, because of the high
20 penetration of DER's they are creating potential threat to
21 the reliability of the host distribution transmission
22 system.

23 We wanted to actually include the entire
24 distribution modeling and all the DER's in that study but we
25 all know it is simply cost prohibitive for certain analysis

1 like transient studies and dynamic studies.

2 So it is very much appropriate to actually
3 simplify the modeling practices and currently there are two
4 practices which the first one is aggregation of modeling of
5 similar characteristics together.

6 And the other one is actually to use reduced
7 order dynamic equivalency modeling for especially for
8 dynamic studies. So when you do the aggregation there are
9 several criteria you can use of modeling. The first one is
10 you can actually the NERC report refers to it as a modular
11 approach.

12 The first one is you can aggregate resources
13 based on the resource type. Some of them are dispatchable,
14 some of them are non-dispatchable so it makes sense for the
15 operators to separate those resources so they can make the
16 best dispatch scenario rather than the worst case scenario.

17 And then the second one is obviously you can
18 differentiate DER resource types of interconnection centers
19 and you know we have variable versions of DER
20 interconnection standards such as IEEE 1547, California Rule
21 21 -- they have been evolving and they're going revisions so
22 they will obviously have different voltage, frequency MISO
23 requirements.

24 So it makes sense to separate legacy and future
25 DER and another criteria is actually to separate the DER

1 resources by the NOPR from technology. Obviously in
2 interface DER's -- they vary very differently from
3 synchronous generation interface DER's and the, sorry, the
4 DER types are inertia-less and they react much faster, so
5 yes this is my brief answer to your question.

6 MS. SCHMIDT: Thank you, Mr. Kramer?

7 MR. KRAMER: Good morning and thank you. I would
8 like to thank FERC for holding this Technical Conference. I
9 think the first day was very informative and hopefully
10 you'll find the second day similarly.

11 As you said my name is Dennis Kramer, I work for
12 Ameren Services however today I'm speaking on behalf of the
13 more than 40 MISO transmission owners that are currently
14 members of MISO.

15 DER -- there's three simple questions -- what is
16 it, where is it and what is it doing? And those three
17 questions -- the answers to them is a little bit different
18 depending on what studies you're doing. In other words, in
19 planning, operations and production costs -- the three you
20 have here.

21 In planning I don't need to know what it is doing
22 today and I don't need to know what it's going to be doing
23 in the next hour but I do know what it's going to be doing
24 in the next 5 years. I need to have those projections.

25 I still need to know what it is, what is its

1 capabilities and I also need to know where it is. But I
2 don't need to know necessarily on exactly what feeder it's
3 on. I may need to know where it's aggregated up to some
4 type of sub-station bus that would probably be sufficient,
5 at least with the current type of penetrations we're seeing
6 today in MISO, I'm going to clarify that.

7 This is what I'm speaking about today is strictly
8 around the MISO footprint of the current penetrations and
9 what we expect to see going forward in the near time.
10 Operation's is a little bit different -- I need to know what
11 it's doing right now.

12 I need to know what it can be used for and called
13 upon to do. There the question becomes is what's that worth
14 to me? How much am I willing to cost customers to pay to
15 get that capability -- that's uncertain at this time. And
16 production cost there you're dealing -- I don't want to get
17 into markets but what are you expecting this to be
18 performing? Is it going to be in a market or is it going to
19 be under some type of state policy or state program that's
20 encouraging a certain type of behavior on the part of that
21 device?

22 And you know, just referring to our colleague on
23 the panel from FERC, we think that the FERC efforts have
24 been very good in starting the process around the planning
25 aspects for the transmission. But we do believe, and I

1 think the folks from OMS that were here on the previous
2 panel expressed it very well.

3 Within MISO we have many different states, most
4 of them are vertically integrated and that we really need
5 and we're working in MISO to have the states work with the
6 distribution companies and transmission companies to come up
7 with what are the data requirements that we need both from a
8 planning and operational and also from the markets, with
9 MISO's involvement and also the FERC requirements for
10 reliability -- what are those datasets that we need to
11 perform the functions in all three of these aspects that
12 you've listed, thank you.

13 MS. SCHMIDT: Thank you, Miss Prica?

14 MS. PRICA: Thank you again. Thank you for
15 letting me part of this panel and I would also like to thank
16 people that I was working with for a year here, that it was
17 really for me a unique experience because I learned a lot
18 from you guys and I hope you learned at least something from
19 me.

20 To talk about the modeling DER modeling today it
21 really depends on the software that the utilities are using.
22 Because the utilities are using mostly commercial software,
23 some of them are maybe a little more advanced, some of them
24 are not.

25 One thing that is difficult for them is really to

1 switch from one to another because that requires people,
2 that requires time, it requires funding like to be able to
3 do that. The model itself, if you look at the DER models
4 they can be as simple as net load but is usually used for
5 performing study analysis, it can be some type of dynamic
6 like voltage control that can be used as that model but is
7 usually used in stability studies.

8 If you talk about real dynamic studies there is
9 not really the end models, aggregated models that can be
10 used on a transmission level. In that case the question is
11 can they be developed? Or also does best cases we need to
12 include the distribution part of this system to be able to
13 do entire system for dynamic analysis.

14 I did talk with some of the providers and they
15 said that their models, DER models that are for the dynamic
16 that can model or they can support the 5047 requirements,
17 however the main problem there is not the model itself but
18 parameters.

19 Because you can have a model and you can think
20 about that, if you can create a basic -- unless you know
21 what A, B, and C are like you cannot really solve the
22 problem. The same thing is with a model. You can't have a
23 model like so, but if you don't have proper parameters that
24 model will not give you accurate results. I think that is
25 the biggest problem because we can develop models but it is

1 up to utilities to verify them.

2 Because as a university or as developers we
3 should have the ability to go to a utility and to plug in
4 the models and like check them but they do have the ability.

5 One question was also about interaction between
6 D&D. There is no at the moment standard approach to that,
7 however there are some things that software developers are
8 doing. One of them and some of you already know is simple,
9 but that software has the ability to connect transmission
10 and the distribution.

11 The biggest problem in connecting the TNB is that
12 the models that we are using. For transmission we usually
13 use a single phase, representation balanced system. If you
14 look at distribution it is three phase balanced. Trying to
15 connect balanced and unbalanced model is really difficult
16 because like you cannot an unbalanced system balanced but
17 you can make balanced unbalanced.

18 In that case like to really connect them
19 correctly, it really requires to analyze transmission as a
20 three-phase unbalanced system. However, the second approach
21 and I think some utilities prefer that approach that is it
22 is practically two level process.

23 One -- first step is to analyze one separate
24 transmission then based on the data from transmission
25 analyze distribution, then put it back to transmission and

1 do our analysis. In that cases utility do not need to learn
2 new software or new tool, they can use existing stuff.

3 But again, there is a need to make a connection
4 between two softwares to be able to talk. And also when we
5 talk about the modeling, especially for the accuracy of the
6 modeling and I just mentioned previously when we try to
7 build our utility distribution site to plug in the
8 transmission we always want to have a three-phase.

9 However, when we connect PV's on the rooftop,
10 they're not going to create as three-phase, they're
11 single-phase and the question is really like what is that
12 margin other than they are making and how that can impact
13 the real studies that we are doing in transmission.

14 MS. SCHMIDT: Thank you, Mr. Shrestha?

15 MR. SHRESTHA: Alright thank you, this is Binaya
16 Shrestha, with California ISO again. I just wanted to
17 elaborate a little bit on specific to what model do we use.
18 So like I said in the forecast we're seeing high interest
19 and it's been like that for the past 3-4 years and that's
20 why studying perhaps the three-cycle we started modeling
21 behind the model PV explicitly in both our flow and for
22 dynamic study as well.

23 And three years back we did a pilot project
24 trying to understand impact of the DER because that's the
25 first time we have seen the very high projection for DER

1 growth. And in that study we -- we tried to model
2 aggregated generated at TND interphase representing
3 distributed solar using a second generator model.

4 And for that, like we heard yesterday too, it's a
5 humungous task if we try to do that to model actual
6 generator as an aggregated generator and come up with the
7 incremental evidence and all that to do each -- at each TND
8 interface, that's a humungous task.

9 Anyway we did that and we learned a few things
10 from that study. But around the same time -- at that time
11 we were using composite load model just for the dynamic
12 representation of the load but there was no PV incorporated
13 at that time.

14 But around the same time the composite load model
15 modeling group came up with the Edison of PV1 model to
16 represent dynamic part of the distributed solar and we
17 started using that.

18 Since then for past year cycle we've been using
19 load model with PVD1 composite load model for the dynamic
20 study for representing this distribute solar and as Ganesh
21 mentioned, you know, there's been improvement to that so now
22 just recently the modeling group came up with the better
23 model to represent distributed solar which is known as DER A
24 which as Ganesh mentioned it has a capability to model lots
25 of other functions that one -- a smart inverter can have

1 based on the, you know, the requirements coming out from the
2 IEEE1547 it can have 5 or 6 different operating modes in
3 terms of control so this model can -- in a simplified
4 manner can represent that.

5 So the model is evolving and we are using
6 whatever is available out there using the best practice and
7 I think it is also consistent with what is put out in the
8 staff report in terms of the -- one of the different
9 modeling efforts. So I just wanted to point out that that's
10 what we've been doing for the past three cycles.

11 MS. SCHMIDT: That's great, thank you. We have
12 Mr. Werts?

13 MR. WERTS: Thank you. I'm Brant Werts, at Duke
14 Energy. Although Duke Energy has many regulated utilities
15 I'll be answering mostly in terms of Duke Energy progress
16 located in eastern North Carolina.

17 This is because DEP leads Duke Energy in terms of
18 DER by megawatt capacity and percentage of generation and
19 this is driven by per QS, up to 20 megawatts. I wanted to
20 follow-up on the DER forecast conversation of the previous
21 panel to talk about what should we model in our planning
22 studies.

23 Although DER projects are modeled in our
24 transmission model as an aggregated generator, at the
25 transmission type, by resource type -- this is only one

1 state that decided to move forward with construction.
2 Modeling the possible transmission impacts of every DER that
3 applies for interconnection is not practical.

4 We'd have to study every contingency for every
5 scenario. Duke Energy projects are currently working to
6 make known transmission constraint areas available to both
7 developers and our distribution system so they can avoid
8 installing more DER in areas where it may be too expensive
9 transmission upgrades.

10 This still leaves many challenges in forecasting
11 DER in the future and challenges with how we would model
12 that in our planning studies, thank you.

13 MS. SCHMIDT: Thank you and I think we have Mr.
14 Boemer?

15 MR. BOEMER: My name is Jens Boemer, I'm with the
16 Electric Power Research Institute which is a not for profit
17 institute dedicated to the public benefit. I would like to
18 shed a little bit more light on the nuances of the modeling
19 of DER for transmission planning studies, in particular
20 dynamic stability studies.

21 As mentioned, we have a variety of models
22 available in the leading software platforms used here in
23 North America to model utility scale DER and what that means
24 in the modeling world is a DER directly connected to the
25 distribution bus of a sub-station or connected to the

1 distribution bus through a dedicated feeder that is non-load
2 serving.

3 So those models which are generic models in the
4 software libraries are available and have been used by RTOs
5 and ISOs for several years already. Let's add the modeling
6 of retail scale DER which either residential, commercial or
7 industrial DER that may offset customer load and that may
8 also include single phase or three-phase interconnections in
9 their kilowatt scale.

10 They are much more challenging to model in
11 transmission planning studies simply because it -- as
12 mentioned by the other fellow panelists, it is impractical
13 to model each of these DER's individually in a system-wide
14 study.

15 So in one way or the other the information needs
16 to be aggregated and potentially dynamic equivalent models
17 need to be developed. And the good news is there were
18 substantial improvements in the area of aggregated and
19 dynamic equivalent modeling in the recent years which
20 finally led to the development of the so-called DERA model
21 that was mentioned by some other panelists before.

22 We would just like to caution at this point that
23 this model has not been applied widely to date and therefore
24 industry has very little experience with the accuracy of
25 this model for analyzing the impact of DER on bulk system

1 reliability studies.

2 Further research is therefore needed to explore
3 whether these latest models are sufficient and whether they
4 may need further improvement and we believe that the work
5 that Argonne National Lab is performing with co-simulation
6 approaches and similar, may help inform us and the industry
7 to what extent these existing models are suitable and
8 practical for transmission planning studies.

9 We also expect and I would like to stress that
10 because it's a new, new development I would say that we see
11 value in using models like these aggregated DER models as
12 well as the existing utility scale DER models in order to
13 inform decisions by the authorities who govern the
14 interconnection requirements what type of economic
15 performance should be required from distributed energy
16 resources in the context of interconnection standards like
17 IEEE Standard 1547.

18 I'm going to spare my comments on other types of
19 modeling including production cost modeling but if there is
20 interest I will be happy to answer further questions, thank
21 you.

22 MS. SCHMIDT: Thank you, Miss King?

23 MS. KING: Hi Commission, I just realized you
24 actually have and I started asking a follow-up question of
25 the interaction between the TND but several fellow panelists

1 have already started addressing them.

2 I also wanted to provide my comments but with
3 your permission otherwise I'll let you ask the question
4 first then I will.

5 MS. SCHMIDT: Yes, please do, the next question
6 was going to be a call for if anybody else has comments on
7 the modeling between distribution and transmission as well
8 as any further tools that might be available.

9 MS. KANG: Thank you, so I'll just go on, yes, so
10 at Argonne National Lab we have been or actually conducting,
11 researching in this regard since the beginning of 2016 and
12 we have been working closely with NERC as part of the
13 support for their essential reliability service working
14 group and the DER task force. And we have Nicole, she's our
15 collaborator and also Ganesh from NERC and so they can also
16 provide some insights into some of the work we do.

17 So in terms of the options in my mind there are
18 three so the first one I wanted to highlight is so-called
19 TND combined modeling. So this is related to the work we
20 did with NERC so I think we actually modeled a combined
21 transmission description system in one simulation platform
22 that is net lab single link platform.

23 So in this TND combined modeling we modeled, we
24 couldn't do a two area system on the transmission side and
25 hydrochloride, on the system on the distribution side. We

1 also connected all sorts of DER's on the distribution system
2 modeling.

3 And so with this representative system we
4 conducted six benchmark case studies and we looked at area
5 impacts of DER on the reliability of bulk power system
6 including voltages stability, dynamic stability, frequency
7 stability and in one case study we actually looked at, you
8 know, how increasing the DER penetration will displace
9 conventional synchronous generators and reducing the total
10 available energy in the whole system.

11 So we observed, you know, system frequency
12 response, upon, you know, a disturbance so you can see, you
13 know, the system would have a much lower frequency after the
14 disturbance and also much higher and longer oscillations
15 after the event and so those are -- those huge big swings
16 are not actually attempted by our system stabilizer so they
17 can potentially cause many other equipment to trip and
18 cause, you know, cascading failure to the system.

19 So this tool is very useful itself but then that
20 would lead me to another option I wanted to discuss which is
21 TND cross generation tool. So what the difference between
22 this one and the previous one is in this tool we are
23 actually coupling individual transmission system simulation
24 tool with another distribution system simulation tool.

25 And again, we also have an ongoing project as --

1 yes also highlighted where we're developing a co-simulation
2 tool we're coupling PSSE on the transmission side with open
3 DSS on the distribution side. The idea is that this tool
4 will be able to model actual combined TND system and allow
5 us to perform a real life contingency study.

6 And the third one I'd like to highlight is just a
7 PVD1 model as other commenters have highlighted. This one
8 basically is an aggregated -- the economic equivalency model
9 of all the DER's on the distribution system side but this is
10 actually connected on the transmission load so it can be
11 actually modeling transmission systems in simulation
12 software.

13 I believe that PSSEPS have already included this
14 model in the transmission side so you can conduct these
15 studies, so there's three options, thank you.

16 MS. SCHMIDT: Thank you, we have Miss Bahramirad.

17 MS. BAHRAMIRAD: Thank you, Shay Bahramirad from
18 Com-Ed. I wanted to add like just two things about the gaps
19 on models in software. And for distribution the current
20 model choose -- they allow for modeling the different and
21 manual load profiles on static commercially available tools.

22 And the tool can utilize some specifically just
23 for advanced inverters that are a required part of the new
24 IEEE standards and Hawaii Rule 14 or California Rule 21.

25 And those functionalities we can currently model

1 them on the -- during the customer interconnection studies
2 since on the distribution side there is a lack of time
3 studies analysis and distribution planners manually model
4 different worst case scenarios which means a high generation
5 low load, or high generation high load and low voltage and N
6 minus 1 contingency.

7 I wanted to bring one industry effort to your
8 attention which is worth taking a look at it. IEEE is
9 leading an effort on identifying implementation challenges
10 of smart inverter associated with distributed energy
11 resources. That effort is requested by Department of
12 Energy.

13 We'd be contributing to this effort by looking
14 into the impact of implementation of smart inverter
15 functions on distribution system planning. All the comments
16 that I previously mentioned and you heard from fellow
17 panelists is part of that viewpoint.

18 Besides the effort is going to analyze the
19 potential impact and challenges of different functions of
20 distributed energy resources and smart inverter for voltage
21 and the active power control -- the output of different
22 distributed energy resources like valuable DER like wind and
23 solar can change significantly due to external conditions
24 such as cloud movements and wind speed variations.

25 And that's something that this report is going to

1 address. I just wanted to bring it to your attention. The
2 report will be finalized in the next couple of weeks.

3 MS. SCHMIDT: Great, thank you and one follow-up
4 to these first two sets of questions before we move on. I
5 was curious to know -- this might be more for Mr. Shrestha
6 -- the DERA model that was created -- I'm wondering how that
7 compares to the more recent PSLO releases in their composite
8 load model?

9 MR. SHRESTHA: So on a high level this DERA model
10 allows us to represent distributed solar capabilities in a
11 little more detail. For example the previous version which
12 was using PVD1 model it -- it doesn't allow to model the
13 frequency voltage regulation, frequency regulation
14 capability that a smart inverter is going to have because of
15 different standards.

16 So the DERA model is kind of like an in-between
17 from that basic model to the much more detailed solar PV
18 model which is used for solar PV connected to a transmission
19 system for the individual generator model so it's kind of
20 between the halfway of those two.

21 So that is the basic difference. So the reason
22 it came about is because, you know, we pretty soon realized
23 because of this newest standard coming out mainly from IEEE
24 1547, California Rule 21 to have this inverter -- this
25 capability, you know the industry realized that the basic

1 model which does not allow you to model the voltage
2 regulation of sequential model, is not adequate, so that's
3 the basic difference between these two models.

4 MS. SCHMIDT: Thank you, Mr. Velummylum?

5 MR. VELUMMYLUM: Yeah thank you very much and I
6 couldn't agree with my colleague here from Cal ISO but again
7 I'm going to do a sales speech.

8 Section 2 of the reliability guideline
9 distributed energy resource modeling September, 2017 was
10 published, page 21 talks specifically about the DER and it's
11 called a model capabilities.

12 I can read them all one by one -- it's about 10
13 bullets if you want. Frequency control, droop control,
14 asymmetric data back modeling -- and my colleague here
15 talked about we have all these parameters you know, like
16 constant power affect whether caught at low and high voltage
17 including a 4 plan piece vice, and again and we can go into
18 all these details.

19 This ramping limits and so forth it's all in
20 chapter 2, page 21 of the reliability guideline. It talks
21 specifically, you know, the difference between PVD1, you
22 know and just like my colleagues said.

23 One of the things in system analysis yes, we have
24 these capabilities but what about the parameters? Let me
25 give you an example -- droop control, droop setting -- 1%,

1 5% right? What we do at NERC we push it, we stretch it. We
2 test it with 1% under a large contingency.

3 We test it with 5% under a large contingency. So
4 what we do is we book it -- obviously my management, John
5 Moran, stress the system, stress the system to see where it
6 breaks right? You know how far can we go and that's what we
7 do. We look at different parameters, we look at the bends
8 like 1%, 5% and different date bands and we study them under
9 different contingencies.

10 We push it and then we see what are the
11 challenges there. So sometimes the challenges there --
12 you're right, you know, we don't have the parameters but
13 then we have to start playing with the parameters now that
14 we know we can model it, that's what the planner needs to do
15 -- try to play around with the numbers and try to see.

16 And then we educate the industry under this
17 setting, under this fault, this is what you get -- the
18 response from with respect on that there, how close you get
19 to point C -- that's what we do. And I know we have a FERC
20 filing 794 that we do and I'm not going to get into that,
21 but you see a lot of these comments in there how we study --
22 especially Eastern interconnection.

23 But I challenge planners to start, you know,
24 challenging themselves -- play with the parameters, try to
25 figure out what is the right settings, then we can educate

1 the industry, the operators, you know, under this condition
2 this set of parameters should be used.

3 So I'm going to say you know, I mean, it's a
4 challenge but we have to, you know, take that bold step and
5 play with the parameters. If we don't have the information
6 play with it and see what we can get out of it, thank you.

7 MS. SCHMIDT: Thank you, Mr. Boemer?

8 MR. BOEMER: Jens Boemer with EPRI. I would like
9 to complement the information that Ganesh provided was a bit
10 more detailed and also further recent developments to get
11 you up to speed on what happened since the publication of
12 these valuable documents by NERC.

13 As I mentioned before the software platforms have
14 the generic models for utility-scale DER already implemented
15 pretty much across the whole list of software packages.
16 When it comes to the PVI or PVD1 models, all the platforms
17 like GE's PSLF, PSSE from Seaman's power simulator, and PTP
18 side, they have this previous model which sometimes is
19 called PVD1, sometimes called PVI implemented as stand-alone
20 models.

21 And then more recently in the last couple of
22 months following extensive discussions and expert
23 specifications and also benchmarking under EPRI leadership
24 in collaboration with WEC and NERC the DERA model has been
25 included in the latest releases of these four nature

1 simulation tools.

2 As a stand-alone model and this is what I'm
3 trying to have it -- I'm heading it is that if you want to
4 include the stand-alone model for distributed resources into
5 the existing power flow cases in a meaningful way, you will
6 have to add information on the distribution feeder.

7 Now in bulk system studies you do not want to
8 model all the details of the distribution feeder at this
9 time and so far we have not seen that it would be necessary
10 to model all the details. So in that respect, some type of
11 equivalent distribution feeder data for the impedance in
12 terms of resistance and reactions of the circuits needs to
13 be added, explicitly to those power flow cases in order then
14 to extend the power flow model with the dynamic equivalent
15 model PVD1 or DERA.

16 This extra step to extend the existing cases with
17 additional elements can be quite an undertaking. You could
18 either do that manually by going to every load bus and
19 adding the step down transformer and line and then the
20 distribution bus and then adding the generator model itself.

21 Or you come up with automated scripts to do so
22 which is possible and we have done with our members in the
23 past. Now the major next step that we expect to happen
24 sometime this year is that this new DERA model will actually
25 be integrated in a modular way or in a more static way into

1 the composite load models that have already been used
2 extensively in the industry in the past year.

3 And what that would help transmission planners
4 with is that instead of having to add all these additional
5 elements either by hand or by coming up with scripts to do
6 so automatically, they could simply use the composite load
7 model which already includes all of these elements, replace
8 the load at the transmission bus and then have the full
9 representation of the load next to the DER as good as we are
10 able to do it today in these types of studies.

11 All that said, even with the availability of
12 these models the very next question is what shall be the
13 parameters to fill these models with? And I think this is
14 what the previous panel already addressed to a certain
15 extent, but more research, more collaboration will be
16 required going further in order to understand what are the
17 critical parameters of these new models?

18 And I think I mentioned it earlier, possibly some
19 of the critical parameters relate to the potential light
20 area tripping of DER due to frequency of voltage regulation
21 -- voltage disturbances and with the publication of the new
22 IEEE standard, this may become less of an issue going
23 forward.

24 However, in order to keep that potential issue of
25 the tripping small, then the new IEEE standard would have to

1 be adopted and implemented in all those jurisdictions that
2 are expecting significant growth of DER as soon as possible
3 -- because if there was any delay in implementing the new
4 standard, the aggregate amount of DER that would trip close
5 to frequency or voltage disturbances along nominal values
6 would continuously increase and therefore the risk
7 associated with that tripping may also increase and
8 therefore the modeling will become even more important.

9 So there's a balance between using the models to
10 inform decisions on implementing new standards, but also
11 using the standards in order to be less in need of perfectly
12 accurate models.

13 MS. SCHMIDT: Great, thank you and then we have
14 Miss Kang and then we'll move on, kind of switch gears to
15 the other questions.

16 MS. KANG: Ning Kang, Argonne National Lab. I
17 just wanted to briefly complement on what Jens just said.
18 So I think I wanted to -- I couldn't help but notice the
19 discussion kept coming up you know, that the discrepancy on
20 the modeling on the distribution side, on the transmission
21 side is specifically for this school -- the group of studies
22 where we do extend the distribution system modeling and, you
23 know, conduct TND closely in relation.

24 So for the TND combined modeling work we did so
25 we actually modeled both the transmission site and

1 distribution site with three-phase modeling, balance on the
2 transmission side and unbalanced with single-phase,
3 double-phase laterals on the distribution side.

4 And for the TND cost simulation to that we are
5 working on so we keep the three-phase balanced on the
6 transmission side with sequence components representation
7 but on transmission side again we model the distribution as
8 unbalanced as it is.

9 We've actually developed this sequence and base
10 quantities conversion on the TND interface to facilitate
11 such studies, thank you.

12 MS. SCHMIDT: Great, thank you. I know a number
13 of us have been studying the DER's, we're going to let the
14 other folks ask questions with a quick note that one of the
15 members of our team, Louise Nutter who has done a lot work
16 with DER's is not here. We just wanted to recognize her
17 quickly.

18 MR. PHUNG: Could you further discuss how or if
19 the outage of DER facilities is considered in current
20 contingency analysis in studies and if they are considered,
21 how are these contingencies developed?

22 For example how are the contingency sizes chosen?

23 MS. SCHMIDT: Ms. Prica?

24 MS. PRICA: Thank you. I will talk but from the
25 point of view of the utilities for metering connection.

1 Because of the very small percentage of DER's in their
2 system, it's maybe like less than 5%, they don't incorporate
3 them into their interconnection studies because they are so
4 that even including them doesn't really change much because
5 of the amount that is known that is connected that are not
6 part of the DER's in the service area but the transmission,
7 but those amounts are very small.

8 MS. SCHMIDT: Okay, thank you. Miss Bahramirad?

9 MS. BAHRAMIRAD: Shay Bahramirad from Com-Ed. As
10 I indicated previously the DER's -- they don't get
11 explicitly modeled in the transmission system. On the
12 distribution side there's a lack of time studies analysis --
13 we don't have that type of -- we didn't have historically
14 that type of data.

15 Now it's been a bit different by collecting the
16 data, we have installed smart metering in the past couple of
17 years and we have started looking into how we can -- how it
18 looks like if we want to create time studies analysis for on
19 the distribution side.

20 The way we are doing that type of contingency
21 analysis is distribution planners manually model different
22 worst case scenario from N minus 1 contingency depending on
23 the terminal design and depending on the configuration.

24 We look at the high generation and low load as
25 well as no generation and high load and the different low

1 voltages on distribution system.

2 MS. SCHMIDT: Thank you, next was Mr. Shrestha?

3 MR. SHRESTHA: Thank you this is Binaya Shrestha
4 with California ISO again. So just to answer the question
5 on whether or not DER facilities are actually included in
6 the contingency analysis from CAISO planning study
7 perspective, we do not necessarily include individual --
8 individual meaning -- individual aggregated and DER at the
9 TND interface as a contingency event, the reason being like
10 other fellow panelists mentioned that it's not significant
11 enough just to look at the individual DER at the TND
12 interface to be taken out as a contingency when we're taking
13 like 800,000 megawatts units out as a frequency integration
14 -- it's not significant enough.

15 But what we do to capture the area wide tripping
16 -- possible tripping of this DER is doing a sensitivity
17 study on the output level of this DER. So for example,
18 let's say our baseline scenario we have just for example,
19 let's say 30% output dispatch from this DER behind the meter
20 solar and then during sensitivity we might take 10% output
21 or maybe no output from these DER's to see how would that
22 impact.

23 So that's how we cover contingency on the right
24 area DER tripping. The other thing I want to mention is in
25 the dynamic simulation, you know, because of the settings --

1 the trip settings that it has in the model, we have observed
2 that, you know, there could be a significant tripping of
3 this behind the meter solar for a frequency or a voltage
4 event at the transmission level.

5 What we have not seen is it causing any
6 significant stability issue or maybe a criteria violation
7 either but what we have seen is the resulting voltage
8 performance and the frequency performance could be -- could
9 be a little bit different, you know, had these units behind
10 the meter units not tripped or had they right through the
11 event.

12 So we are seeing that kind of impact but going
13 back to contingencies, not explicitly modeled as a
14 contingency.

15 MS. SCHMIDT: Thank you, Mr. Werts?

16 MR. WERTS: Brant Werts, Duke Energy. We are not
17 currently looking at the loss of all DER as a single
18 contingency. We do look at the loss of DER in an area such
19 as specific as the transmission line, loss of DER associated
20 at that transmission line.

21 One thought would be now that we have more DER in
22 our Duke Energy progress territory, they're our largest unit
23 -- that would become our single largest contingency but we
24 don't believe that we would lose all of our DER at the same
25 time such as the solar eclipse where we saw a significant

1 loss of generation but we knew that it was coming.

2 The biggest challenges to avoid having this
3 single contingency event where you could lose all of your
4 DER and to avoid that occurring you have to be aware of
5 where are all the voltage and frequency trip settings for
6 both DER and transmission connected PV generation and be
7 aware of some of the findings from recent NERC alerts that
8 have kind of shown us that maybe the response of the
9 inverters is not what we expected for both transmission and
10 distribution resources and that we need to make sure that
11 we're working with our developers that we don't have this
12 case in which we could use a large segment of DER making it
13 a single contingency, thank you.

14 MS. SCHMIDT: Thank you, Mr. Velummylum?

15 MR. VELUMMYLUM: Thank you again. I want to
16 comment to Jens comment about modeling is in the modulator
17 approach. I'm going to preach that again it's in the
18 reliability guideline -- I think its figure 5 on page 6.

19 So what it tells us is that everybody is familiar
20 with the concept of consequential load loss, a fall on a
21 circuit, you trip that -- the load is lost. Now I'm going
22 to use the term consequential DER loss. Just like how we
23 lose loads -- if you model them in your models whether it's
24 modulated -- they will trip based on the contingency
25 configuration right?

1 So coming back to models, you have to start
2 putting them where they are supposed to be designed. So
3 everybody knows base cases they don't model breakers but
4 it's all in your contingency file that you tell it which
5 circuit to take up.

6 So if you model them at whatever process like how
7 it's supposed to be modeled and introduce contingencies that
8 you take, it will automatically drop that amount of DER.
9 The concept is that we've used a concept for loads, it's
10 there. It just happened.

11 Get it in the cases, model them and your
12 contingency files should take care of them if they are, you
13 know, the configuration do represent the breaker to breaker
14 in the real world, thank you.

15 MS. SCHMIDT: Thank you, Mr. Kramer?

16 MR. KRAMER: Thank you, Dennis Kramer for the
17 MISO TOs. In general in MISO we do not explicitly model the
18 DER facilities connected as a distribution system when we're
19 doing contingency studies.

20 However, there are situations where we may be
21 aware of distributed energy resources on behind the meter
22 that we would include in an analysis on a specific targeted
23 local area. We would modify the load possibly to do an
24 additional contingency or sensitivity analysis, but that
25 would be on an individual case by case basis rather than

1 just system-wide, thank you.

2 MS. SCHMIDT: Miss Prica?

3 MS. PRICA: Marija Prica, Case. I would just
4 wanted to follow-up on what's something that Shay said about
5 distribution modeling and particularly you're looking at the
6 whole distribution site.

7 At the moment the tools that are available to the
8 distribution systems are really more static analysis. But
9 they also they don't include anything about 1547 that you
10 will see in the future and that will be really a huge
11 challenge because like here you will have especially in the
12 areas that do have a lot of DER's, you will need to really
13 properly model them to be able to provide proper analysis
14 and studies so that you can see there what is happening in
15 their system.

16 However, the 1547 as far as it was described in
17 some utilities is really a set of options. And independent
18 utility depending on the area, depending on the state but
19 each utility probably will have their own options followed
20 up with 1547 but also for the same options they may not have
21 the same settings, or like the same requirements for their
22 devices.

23 In that case we're developing general models. It
24 would also be very difficult because like all these models
25 will be a consequence of how the 1547 is applied in a system

1 -- in different systems.

2 It means that practically, even if you develop
3 models somewhat now, we will also need to practically to
4 enroll them as progress, as the utility gets more
5 comfortable with 1547 because like at the beginning like I
6 think they're trying to find the minimum changes -- like how
7 to implement the model.

8 And at that level there would be a lot of effect
9 on the analysis however, as time progress this will change.
10 In that case every time when they decide to put on a new
11 option of how to use the DER's in their system, they will
12 need to also develop new studies.

13 With developing new studies they have to have
14 proper models meaning that like practically for the old, the
15 analysis at the moment like as we heard, like it can be some
16 type of the composite model that does include some level of
17 DER's if they are larger, but then these models will also
18 need to be modified such that they do correspond to the new
19 1547 rules, thank you.

20 MS. SCHMIDT: Thank you, Miss Bahramirad?

21 MS. BAHRAMIRAD: Thank you, Shay Bahramirad,
22 Com-Ed. What I forgot to mention I should have talked -- I
23 specifically talked about N minus 1 contingency and what I
24 should have added was if you are currently not really
25 accounting for under-frequency load shedding or related

1 studies due to low penetration of the distributed energy
2 resources in our system.

3 However, we see the need for a mechanism to
4 capture and account for reduced loads that will be account
5 for the under-frequency load shedding in distribution
6 systems similar to N minus 1 contingency.

7 New businesses are doing a 5 year plan capacity
8 studies. Another thing to consider is that -- that you
9 heard multiple times about the lack of models, dynamic
10 models in distribution system and our studies are static, is
11 to have some sort of a test such as varying the loop to look
12 into the configuration and the impacts of these distributed
13 energy resources and the contingency analysis as part of the
14 planning so we can make planning in more intelligent
15 decision in terms of designing the distribution system.

16 MS. SCHMIDT: Thank you, Mr. Boemer?

17 MR. BOEMER: Jens Boemer with EPRI. I would like
18 to contribute to two topics, one is the planning models and
19 the other one is more like operational planning with regard
20 to the planning models. I just wanted to reflect on what
21 Marija said about evolving models and how they may have to
22 change depending on which performance categories of IEEE
23 Standard 1547 may be selected by states.

24 We do believe that the way the DERA model has
25 been specified to date does allow -- to represent different

1 category assigned DER with the same type of model by
2 changing the parameters that this model uses.

3 So the model is generic in that way that by
4 adapting the parameters it should be able to represent
5 different DER, assigned to different economic performance
6 categories like right through requirements of IEEE Standard
7 1547.

8 Whether that statement is fully true will need to
9 be shown in further research and experience but we hope that
10 the model is prepared for the flexibility that the standard
11 offers.

12 With regard to operational planning and you know,
13 considering large scale outages or tripping, in the near
14 term we do not have any knowledge at this point that any RTO
15 or ISO would consider aggregate levels of DER as the most
16 severe contingency in the real time contingency analysis.

17 That said, it really depends on the penetration
18 level of those DER that are prone to trip and when I said
19 prone to trip is that one may not have to perform
20 sophisticated studies in order to get a feeling for the risk
21 of these devices tripping. One can actually start looking
22 at the, you know, the trip settings of the old IEEE Standard
23 and the clearing times associated with that and then compare
24 that to typical system disturbances that we have seen in the
25 past to a certain extent to get a feeling for how close we

1 are to a situation where larger scale -- larger area DER may
2 trip.

3 But if say based on a desk study like that, one
4 would come to the conclusion that there may be a risk of
5 large area DER tripping then it would probably be wise to
6 include these models also in the nearer term, real time
7 contingency analysis.

8 There are actually examples over in Europe, for
9 example, Red Electric in Spain -- in Spain has done exactly
10 that but they incorporate real time assessment of potential
11 tripping of older winter lines in their control centers and
12 therefore that allows them to dynamically schedule for
13 operating reserves based on the risk level they pursue.

14 I would like to make two more points and one is I
15 mentioned data -- we need data to really populate these
16 models with meaningful information. The question is do we
17 only need the data or does it have to be valid data? And if
18 it has to be validated data which certainly is desirable,
19 how can one validate this data?

20 And this is really a very open pretty much
21 unexplored area at the moment right now. We hope to, to
22 create some collaborative initiative across the industry
23 that would allow management and validation of data for say
24 smart inverters, maybe in form of a DER database that could
25 be used in interconnection-wide studies.

1 That can be or could be linked to the
2 certification that underlies the verification of compliance
3 for meeting new requirements such as IEEE 1547 for example,
4 the smart inverter certification procedures that are already
5 available based on various state's interconnection rules.

6 But what about larger scale DER's -- say
7 utility-scale DER? Even if we know all the exact details
8 and settings of the individual smart inverter, we may not
9 yet fully understand whether if you put several inverters
10 together into a larger facility and then connect that larger
11 facility with a collector system say to the distribution
12 bus, whether as a whole, that facility would still comply
13 with the performance that it is required to comply with.

14 And to date we see very -- a great variety of
15 utility practices to actually verify for example, in
16 commissioning tests, the performance of larger scale DER
17 facilities. There are initiatives under way in IEEE for
18 example, which try to standardize some of these verification
19 procedures in further detail.

20 And it remains to be seen whether the associated
21 costs to these procedures would balance the potential system
22 benefits and reliability benefits but that's certainly
23 another avenue for exploration for collaborative research
24 and industry collaboration, thank you.

25 MS. SCHMIDT: Great, thank you all. At this

1 point we will spend the last 15 minutes or so discussing
2 question 5 and then any other questions that may come up.

3 MR. RICHARDSON: Yes so question 5 -- what
4 methods are used to calculate capacity needed for balancing
5 supply and demand with large amounts of DER's from the
6 ramping and frequency control perspectives in determining
7 which resources can provide an appropriate response?

8 MS. SCHMIDT: Mr. Shrestha?

9 MR. SHRESTHA: Thank you this is Binaya Shrestha
10 with California ISO again. So I just want to answer this
11 question in relation to something that ISO has in recent
12 years started to do which is known as doing a study to come
13 up with the flexible capacity requirement.

14 And this study goes about -- my colleague Clyde
15 mentioned about this in his remarks in the previous panel.
16 But to recap a little bit -- so how it's done is it starts
17 with the survey that ISOs send out to all LSE's asking about
18 their existing and next 3 years forecast for the DER
19 installation.

20 And using that information and the load
21 information from the load forecast and using profiles like
22 publicly available profiles, we come up with the minute by
23 minute load profile and within that we look for the maximum
24 three hours of ramping required because of this injection of
25 renewable resources.

1 Not only DER but all transmission connector
2 renewables and distribution connected solar is part of that
3 calculation. So once we come up with the three hour maximum
4 ramp rate requirement -- let's say for example in terms of
5 numbers for any particular month the 3 hour maximum ramping
6 is let's say 10,000 megawatts.

7 That 10,000 megawatt gets allocated to the LSE
8 based on their contribution to that ramping based on the
9 amount of variable resource they have in their system. So
10 that's the process that ISO takes in coming up with the
11 flexibility capacity.

12 MS. SCHMIDT: Thank you, Mr. Werts?

13 MR. WERTS: Brant Werts, Duke Energy. So we use
14 a combination of a radiance forecast and historical DER
15 measurements from our distribution's data systems to come up
16 with the forecast in the solar profile.

17 Using that profile we are able to forecast what
18 the ramping needs and operating reserve needs would be for
19 the future and then you can use the actual distribution's
20 data to confirm what solar profile we have through the day
21 to continue to update those needs based on the actual
22 performance.

23 Historically we've used our simple cycle --
24 combustion turbines have been the most effective for
25 handling the significant ramps that we see from our solar

1 profile. And this has been because our appropriate
2 generation hadn't allowed us to previously dispatch the
3 solar that was connecting on our system.

4 But now we're looking at opportunities under a
5 competitive procurement in North Carolina to actually
6 control generation -- both transmission and distribution
7 connected, to dispatch the DER inverter-based generation to
8 actually respond to some of the challenges that have to deal
9 with ramping.

10 So we're looking at technical capabilities to
11 doing that at the transmission level and then working on
12 down to directly dispatched down to 250K, thank you.

13 MS. SCHMIDT: Thank you, Miss Prica?

14 MS. PRICA: Thank you, Marija Prica, Case
15 Western. I want to talk mostly about how we determine the
16 resource capabilities to provide services. In Case we are
17 supporting utilities in development and testing for
18 different types of models.

19 But we are also working with them on system
20 studies as well as administration projects. And those
21 projects are very often in cooperation with EPRI and DOE.
22 For the determining what can provide which response,
23 practically our approach is distributor use testing or to
24 use the real system, in our case it's the Case Campus.

25 At the moment Case has several projects going on,

1 some of them are energy storage, PV related, some of them is
2 energy storage related and some of them are building energy
3 storage -- how to provide services to the grid.

4 Our expectation is that based on these
5 demonstration projects -- as I mentioned before getting the
6 real data is sometimes difficult however having the
7 demonstration projects on the Campus really allows us to
8 look at the models themselves, to verify them and also to
9 look at the response of different technologies and different
10 signals.

11 One of the projects we have is integration of
12 energy storage. Practically that project by itself is
13 really a multi-phase project. It has like we will do one
14 model with how we can -- how the energy storage can respond
15 to the wind variability and then the next project would be
16 using the same device is practically how we can provide
17 services to the grid.

18 Because the Case is part of the PJM market we do
19 receive things from them and the idea is for example to use
20 that same storage as a frequency manipulation but also not
21 to just look at the credibility of the devices by
22 themselves, but if they provide the sources to the market
23 how they will impact our Campus network.

24 Because I think that that is one of the --
25 probably for me the biggest gap that they have today is

1 using devices on the distribution side to provide resources
2 on the transmission and market side without really having
3 the knowledge of what is happening on distribution that this
4 is in the middle of all of that.

5 By using -- by having like this type of
6 demonstration project we are trying to really understand,
7 depending on the size, depending on the feeder, the
8 capabilities of feeder or the loads, mix up the load that we
9 have on the feeders -- how different resources, when they do
10 respond to the RTO or ISO signal, how they do impact that
11 local network that they are replacing, thank you.;

12 MS. SCHMIDT: Thank you, Mr. Kramer?

13 MR. KRAMER: Thank you, Dennis Kramer from MISO
14 TO. At the current time solar ramping is not a noticeable
15 issue in the MISO footprint however we do have a sizable
16 amount of solar that's in the queue and that's going to be
17 coming on in the next few years.

18 But the current thinking is we've kind of
19 addressed something similar when we had the huge influx of
20 wind that we currently have. I know we had to adjust the
21 variations in wind output and today in real time markets and
22 set up the parameters of how they could participate.

23 And the key question I think that we're getting
24 to is how do you determine which resources it gets to?
25 Okay, is it an entity that is a market participant directly

1 or is it someone who is an aggregator who is representing a
2 series of smaller DER's and how do those -- we know where it
3 is if it's a single market participant.

4 If it's an aggregator we will not know
5 necessarily and I think that's where the previous panels
6 have talked about is the aggregation and requirements for
7 understanding what an aggregator does, what an impact of a
8 command to that aggregator will, you know, what impact it
9 will have -- which is mentioned on the distribution and the
10 transmission level.

11 So that's where the need for data and
12 understanding what that aggregator has in his portfolio, and
13 where it's located and what will be the reactions of our
14 system to any response to a market or command from the
15 operation center, thanks.

16 MS. SCHMIDT: Great, thank you, Miss Kang?

17 MS. KANG: Ning Kang from Argonne National Lab.
18 So I actually just wanted to circle back to the previous
19 questions -- it's not a direct response for this question
20 but it's in line with the whole theme of today's panel.

21 I wanted to echo what Shay brought up so she
22 mentioned there's a lacking of an identity on modeling for
23 right through a study's contingency studies and also as Jens
24 brought up that even if those modelings exist, the
25 validation is another challenge.

1 So yes, so from our associate experience, so we
2 actually went ahead and we developed our own and then make a
3 DER modeling in specifically to two platforms, one is a net
4 lab, one is open DSS. So those in net lab we were able to
5 implement those studies state and then make the DER
6 modelings we were able to implement all smart inverter
7 functions like volt control, constant power factor control,
8 watt frequency control and also implement, you know, LNT
9 requirements based on the IEEE 1547, specifically with the
10 2104 amended version.

11 And then for open DSS itself, it only comes with
12 the study state DER modeling but it does provide a DIL user
13 interface that where the user can later on the DER dynamic
14 modeling and then integrate that with an open DSS so you can
15 perform to then make DER modeling so that's what we are
16 doing right now so actually we're able to, you know,
17 implement our DER dynamic -- DER inverter response and
18 that's makes as well as all of the controls as well as you
19 know, the IEEE 1547 Standard.

20 So I think that maybe beneficial for the research
21 community as a whole, so thank you.

22 MS. SCHMIDT: Great, thank you. With that it
23 concludes the time we have for this panel unless there are
24 any other really quick questions. I don't think so, so
25 thank you all for coming. I wish we had more time to

1 discuss this and pick your brains, especially thank you to
2 Mr. Boemer and Mr. Velummylum for sitting on two panels
3 consecutively -- it's appreciate and safe travels.

4 (Break 12:15 p.m.)

5 MR. KATHAN: So welcome back. We are now in the
6 home stretch. We have only two panels to go and both will
7 be on coordination. The first panel -- this panel will be
8 focusing on issues in general about coordination and then
9 the next panel that will follow is going to be on on-going
10 coordination.

11 But I want to say just a few things that we make
12 sure we say before each panel is that to remind everyone
13 that we intend to focus this Conference on the technical and
14 operational issues described in the notice. We will not
15 discuss other related matters, including those at issue in
16 any pending proceedings.

17 And also we have a lot of questions I know, and
18 sub-questions on this panel. We will maybe not get to all
19 of them but we will you know, let the conversation go as
20 need be. And I'd also like to acknowledge that we have
21 Commissioner Glick in the audience at this point and we're
22 happy to hear everyone's perspective.

23 On this panel we have a David Crews from East
24 Kentucky Power Corp.; Mike Esquerra from PG&E; Chairman
25 Daniel Hall from the Missouri Commission; Pete Langbein from

1 PJM; Audrey Lee from Sunrun; David Owens, retired from EEI
2 but came back to provide us his wisdom; Maria Robinson from
3 Advanced Energy Economy and Jeff Taft from Pacific Northwest
4 Labs.

5 So why don't we get started with the first
6 question which is -- our first question is if the Commission
7 adopts its proposal to require the RTO/ISO to allow a
8 distribution utility to review the list of individual
9 resources that are located on the distribution system that
10 enroll in a DER aggregation before those resources may
11 participate in the RTO/ISO electric markets.

12 Is it appropriate for the distribution utility to
13 have a role in determining when the individual DER's may
14 begin participation? So I'll open it up for comments.
15 Mark?

16 MR. ESGUERRA: Yes, thank you, Mark Esguerra,
17 Pacific Gas and Electric and I want to thank FERC staff for
18 inviting us here to share our thoughts. So I'd just like to
19 take a step back on that question.

20 The distribution utilities have the core
21 obligation to maintain safety and reliability on the
22 operation of the distribution grid. And so inherently they
23 should have a role to ensure like the planned physical and
24 operational characteristics of DER aggregations.

25 And something to think about is that T&D -

1 transmission and distribution systems, although they connect
2 as an integrated grid, have actually been planned, designed
3 and then operate very differently.

4 And so I'm going to speak a little bit about that
5 before we get into like what are some of the steps for
6 coordination. Distribution systems have been typically
7 designed for one way power flow in more of a radial design
8 as transmissions have been designed for in network
9 configuration.

10 Transmission systems are more designed for a more
11 robust resilient nature which distribution grids are more
12 designed for speed and efficiency and restoration.

13 And so you start to see some of this kind of play
14 out with kind of the overall makings of the distribution
15 grid. Largely speaking, the distribution grid wasn't
16 designed for this two-way power flow so there's going to be
17 -- without higher and higher penetrations of distributing
18 energy resources and wholesale DER's or aggregated DER's
19 participating in wholesale markets, there has to be some
20 coordination in terms of how to manage those flows.

21 And other things that I also want to point out
22 are just the availability of the distribution grid. The
23 transmission grid is designed as I mentioned, much more
24 robustly. The distribution grid experienced much more
25 exposure to outages and switching configurations.

1 Just to put things in context, a typical
2 transmission line may experience one or two operations in a
3 given year where a distribution line may experience multiple
4 operations in the given month. When you couple that into
5 some of the major weather events in terms of storms, you can
6 see numbers of -- large numbers of outage occurring and
7 impacting the various customers.

8 And so as we think about it the distribution
9 utilities should have an opportunity to review how these DER
10 aggregations are actually going to form and to be able to
11 provide, you know, input on whether or not there's going to
12 be safety and reliability problems with these DER's
13 participating.

14 MR. KATHAN: Thank you, Mr. Crews?

15 MR. CREWS: Good afternoon, thank you. I
16 appreciate being invited to participate. Kentucky is a
17 cooperative in Kentucky. We have 16 members, we're
18 regulated by the Public Service Commission in Kentucky which
19 is somewhat unique because many cooperatives are not
20 regulated by public service commissions.

21 We joined PJM in 2013 and we made application to
22 our Public Service Commission to join PJM in 2012. One of
23 the conditions that we were a regulated retail state and one
24 of the stipulations that our Commission put on was that our
25 retail customers not participate in the PJM market -- we've

1 had some action at the Commission here related to EE
2 aggregators participating, but -- and our Commission
3 reaffirmed that EE and retail customers were not to be
4 participating.

5 That said, you know, with that as background if
6 we go this direction the question becomes is should the
7 distribution cooperatives be part of this? And Marija from
8 the previous panel talked about distribution feeders.

9 The fact of the matter is that -- is that the
10 distribution system is not homogenous, must like the
11 transmission system is not homogenous. The people that are
12 going to -- that have the discretionary income to
13 participate and purchase DER or batteries or things of that
14 nature live in similar neighborhoods.

15 And depending on how the distribution feeders
16 were originally laid out you could have a -- you could have
17 batteries in one neighborhood on a feeder that if we operate
18 them to settle back into the grid -- unbalances our
19 distribution feeders and causes efficiency problems in that
20 area.

21 So from that reason -- from an efficiency and a
22 reliability standpoint it can cause problems. I'm not
23 saying that it will but it's -- you know, in the previous
24 panel they -- I think there was some thought that these
25 would be, you know, disbursed amongst the distribution

1 system but my believe is that they won't be disbursed,
2 they'll be in specific areas where the socio-economic class
3 can afford to purchase or participate in DER's and
4 batteries, thank you.

5 MR. KATHAN: Pete?

6 MR. LANGBEIN: Great, Pete Langbein with PJM and
7 thank you for the opportunity to participate today. Today
8 in terms of participating in the wholesale market, really
9 the DER's have two different avenues to actually get into
10 the wholesale market.

11 One is through our normal interconnection process
12 in terms of, you know, figuring out what the actual impact
13 would be on the system and in that interconnection process
14 depending on where they are going to hook up to the system.

15 All entities that would be involved or impacted
16 are incorporated in that process to make sure the
17 appropriate studies are done. The other avenues that DER's
18 participates in today are in the world of DER where those
19 resources are used to manage the load of that -- of that
20 native customer.

21 So today it's one of two ways in the world of DER
22 we do have provisions for aggregation that exists. The sole
23 purpose for aggregation is an order for those resources to
24 be able to participate because we have a 100KW threshold in
25 order to participate in the wholesale market.

1 So it's not simply for convenience, it's in order
2 to get enough scale to actually participate in the wholesale
3 market than they are able to aggregate.

4 Any time there is aggregation there's a balance
5 between control down to the, you know, a you know, a more
6 precise level versus the ability for those resources to come
7 into the market but therefore be more spread out obviously I
8 believe some of this was covered on the panel yesterday.

9 So and from a distribution company role today our
10 distribution companies are involved to the extent in the
11 interconnection process that the DER is going to connect at
12 a lower voltage level, it would be included in that loop
13 because we want to ensure as my colleague mentioned that
14 it's not going to create issues somewhere on the system by
15 interconnecting.

16 So we would see the EDC's, we would continue to
17 coordinate where that's, you know, needed. We also have
18 coordination frankly on the DER side where we coordinate for
19 data validity purposes and you know, we go through that
20 process with the distribution companies today as well.

21 MR. KATHAN: Audrey?

22 MS. LEE: Thank you, thank you for the
23 opportunity to speak today. I just wanted to introduce
24 Sunrun briefly. Sunrun is the largest residential rooftop
25 solar company in the U.S. We operate in 22 states, we have

1 180,000 customers today which was a growth of 34% on the
2 year before.

3 We have over 1.2 gigawatts of rooftop solar
4 deployed. But we also do have a residential battery product
5 that we deploy with solar. We're seeing adoption rates of
6 20% in California for solar and 100% in Hawaii.

7 My role at Sunrun is to integrate our fleet of
8 solar and battery resources into distribution and wholesale
9 markets for the benefit of the grid.

10 I want to start out by saying that to the
11 question our resources already comply with distribution
12 utility interconnection requirements as Peter mentioned and
13 so wholesale market participation activities would need to
14 fall within those interconnection -- utility interconnection
15 requirements anyway.

16 We do believe that the utilities role is at the
17 point of interconnection and distribution utilities should
18 only be allowed to prevent or delay DER's from enrolling in
19 aggregations in the wholesale market if doing so would
20 threaten the safe and reliable operation of the distribution
21 system.

22 And so I think we need specific examples before
23 creating any blanket rules about this and look at specific
24 cases where there is a safety and reliability issue at hand
25 and resolve those on a case by case basis. We certainly

1 believe in information sharing, except we do think that
2 allowing the distribution utility to serve as a gateway to
3 DER participation in the wholesale markets, could put them
4 at odds with DER interests in a way that would enable them
5 to distort wholesale market clearing prices.

6 Utilities may also be incentivized to own their
7 own DER's which potentially could create a conflict of
8 interest with the customer sited or customer owned DER's in
9 the same market. I think Commissioner Phillips remarked
10 yesterday how D.C.'s retail market is wholly restructured
11 which means in a state like D.C. utilities have no business
12 deciding when behind the meter resources should or should
13 not bid into markets.

14 I -- when I look at the questions I see them
15 pitting the wholesale -- the RTO's and the distribution
16 utilities, but not really talking about the role of
17 aggregators. I think we have a very important role in
18 sharing information and we can bring greater visibility to
19 the system and you know, on the panels on data before this
20 and it's not just distribution operators that can bring that
21 additional visibility to transmission operators.

22 You know our solar plus storage systems do have
23 revenue grade meters measuring the output of our inverters
24 and then we also often have a shadow meter on the utility
25 meter -- the retail meter as well. So we collect current

1 voltage frequency, active power, reactive power, apparent
2 power information at multiple points along the circuit where
3 our customers are often with more visibility than the
4 distribution utility who is measuring it at the substation
5 or at various points where they have installed sensors.

6 And I just had -- I worry that we're letting the
7 current rules in the system bias -- the current rules and
8 the system that we have today bias our perspective and limit
9 our scope of solutions so I just encourage you to think
10 about how DER's can contribute to added transparency and
11 information sharing and improving the system, thank you.

12 MR. KATHAN: David?

13 MR. OWENS: Well Audrey did a great job. I don't
14 agree with a lot of what she said but I'm not going to take
15 away that. So the question really is should we have an
16 understanding of the aggregators -- the DER aggregators that
17 would participate when the distribution system moved to the
18 wholesale market.

19 As was mentioned earlier the utilities have the
20 responsibility of safety and reliability at the distribution
21 level. It was also pointed out how distinct the
22 distribution system is. So I'm going to use the word
23 visibility.

24 If you have the responsibility of maintaining
25 reliability and safety, it's very important that you know --

1 understand the attributes of all those sources that are
2 connected to the grid -- connected to the distribution
3 system.

4 Not only is it important to understand the
5 attributes, it's also important to understand how those
6 sources will impact reliability and safety. And what does
7 that mean? That means that as the utility you have to have
8 some element of -- I won't use the word controls, but some
9 element of knowledge of what those sources are doing in your
10 system.

11 You have to have an understanding of how those
12 sources will impact your overall distribution system -- how
13 it will impact the flows on your system, how it will impact
14 the attributes of voltage and frequency -- all of those are
15 the responsibility of the distribution utility.

16 So just having a list and understanding the list
17 of the aggregators is not significant. What is significant
18 are the attributes of that aggregator, the attributes of
19 that distributed resource. How that distributed resource
20 impacts your overall distribution system.

21 And how in fact, you are able to ensure
22 (microphone went dead) To me that's what the fundamental
23 issue is. You -- as the distribution utility, having the
24 understanding of all those sources that are connected to
25 your distribution system, understanding all the attributes

1 of that entity and ensuring that reliability and safety are
2 maintained.

3 You need to understand the attributes of that
4 source because to the degree that that source is disruptive
5 to flows on the system is potentially disruptive to
6 frequency and voltage and all the attributes of power
7 quality, you , as the distribution utility need to be able
8 to take action to preserve reliability and safety, so just
9 having a list is not sufficient but having visibility,
10 having knowledge, having coordination and having a say-so in
11 how those facilities are operated are most important.

12 MR. KATHAN: Maria?

13 MS. ROBINSON: Maria Robinson from Advanced
14 Energy Economy, we're a national trade association that
15 represents advanced energy companies and for the purpose of
16 this conversation I would say that we include DER providers
17 and aggregators, DER folks, distributed wind and solar EV's
18 and storage, just to provide you a little bit of perspective
19 there.

20 I would say that I agree with Peter a fair amount
21 in that the vast majority of this can be and should be
22 worked out through the interconnection agreement with the
23 distribution utility -- all of those folks that you
24 mentioned in your question, the distribution utility, the
25 DER aggregator -- all of them are involved as well as the

1 RTO.

2 And that's the moment in time where if there is a
3 reliability concern as defined by the PUC, very clearly,
4 then it would be identified at that point in the process and
5 taken care of.

6 Now in talking about David's point around data
7 what I think is important is that the RTO is receiving all
8 of this data from the DER aggregator. It would use useful
9 and also the most efficient if that RTO could then share the
10 data with the distribution utility and that's actually
11 something that could be written into the tariff as an
12 obligation of participation is that you share the data from
13 the DER aggregator to the RTO to the distribution utility
14 and that way it would make it easier for the distribution
15 utility because you're receiving it in a consistent format
16 across all DER aggregators from the RTO.

17 So I think the order of operations there is
18 ultimately going to be important to keep it both efficient
19 as well as cost effective as the providers are looking at
20 data points for tens of thousands of different rooftops
21 having to do that already for the RTO and then having to
22 then duplicate that again for the distribution utility would
23 seem somewhat unreasonable as a part of that.

24 And I'll say -- and I know that we're having some
25 folks from California talk about this process. I think we

1 can learn from the California experience of what they've
2 done around registration. Right now you have to register
3 with the CPUC, with the distribution utility, with the RTO
4 and in order to do that you need to get each and every one
5 of your DER customers to sign-off in that registration and
6 that can be difficult again if you're talking about tens of
7 thousands of different customers to do that sign-off.

8 So making it so that there's automatic electronic
9 registration in agreement as a part of that process -- I
10 know that's something that the California folks had a
11 proceeding on for several months just to allow for that
12 electronic registration to happen, I think asking for that
13 as a requirement would be very helpful.

14 MR. KATHAN: And Jeff?

15 MR. TAFT: So one of the words in this particular
16 question that I think is significant, and you've heard
17 references to it one way or another here, is the word
18 "role". A lot of the work that we do has to deal with
19 structure, of course, because its grid architecture work and
20 that includes industry structure which includes
21 automatically a definition of the roles and
22 responsibilities of the various entities and organizations.

23 The differences that you heard in these
24 discussions here actually reflect underlying differences in
25 the presumption about what that structure looks like or it

1 should look like.

2 When you go back a number of years, we started to
3 see this issue about coordination back around 2011-2012 and
4 we could see how this was developing in a sort of a de facto
5 way into a situation that was going to result in these kinds
6 of questions coming up.

7 When we first started talking about people
8 thought we were kind of crazy but now coordination is a very
9 common word, it wasn't very common back then. Understanding
10 the roles and responsibilities of the organizations,
11 understanding the structure -- the ways that those
12 organizations are related to each other, actually gives you
13 answers to these questions in a very straight-forward way.

14 When you attack the questions this way sort of
15 bottom-up it's hard to sort them out because of the
16 differences in presumed structure they're not actually being
17 sort of explicitly laid out here.

18 But so, thinking about that architecturally gets
19 you a way to get to these answers because, among other
20 things, it defines where the interfaces are. The
21 assumptions here were very different about where the
22 interfaces are and therefore what the nature of the
23 agreements would be necessary to have in order to make those
24 interfaces work.

25 So what I would suggest is that one of the things

1 you want to think about is, you know, the structure that we
2 have developed essentially by organic means, may have
3 limitations in it that want to be rectified before you can
4 actually say this is the way these agreements should look
5 and the way these interfaces should be.

6 So that's kind of a structural view and it always
7 gets back to how are these things related to each other --
8 how do they interconnect? What does each one have to do and
9 where are the responsibilities? Do they match the roles so
10 that we're not asking the wrong organization to take on
11 something or support it in a way that's not feasible for
12 them?

13 MR. KATHAN: Commissioner Hall?

14 COMMISSIONER HALL: Thank you, good afternoon and
15 I appreciate the opportunity to be here today. I mean it
16 seems to me that there was 1, 2, 3, 4, 5, 6, 7, 8 of us here
17 and we all said something that was consistent and that was
18 yes, the utility -- the distribution utility, should have a
19 role in determining when the DER should be able to
20 participate.

21 And to the differences of opinion is -- is it
22 through the interconnection agreement or is it through some
23 kind of subsequent process and I don't know if I really care
24 about that but what I do care a lot about is that before
25 there is DER offered into the market that the utility does

1 sign-off and I would also take it farther and say that I
2 think that the state regulatory authority should as well,
3 assure us that that new product is not going to cause any
4 potential harm to the reliability and safety of the system.

5 And that is probably going to be my answer to
6 every single question that we have on this panel. But I
7 think it's absolutely critical that, that we assure
8 reliability and safety and we also acknowledge that each
9 distribution system is inherently different.

10 And the people who know that system best are the
11 people on the ground which is the utility and then the
12 utility's regulator.

13 MR. KATHAN: I think Jeff had his up first.

14 MR. TAFT: So one of the things that's
15 interesting about DER in particular is that, you know, at
16 low penetration levels you can do a lot of things that don't
17 impact system operations reliability very much. And so when
18 we started all of this we were at pretty low penetration
19 levels and in some places in the country we still are.

20 At the bulk system level you see aggregations.
21 In fact we talked about the aggregators here many times and
22 so they don't see the same kind of volatility that you see
23 as you move down to distribution. The closer you get to the
24 edge, the distribution edge, the more you see the volatility
25 caused by distributed energy resources.

1 And the problem is that that impacts reliability
2 in ways that are pretty dynamic and so if you think about
3 this and say, well, you know, I can stand back and look at
4 it as a whole system impact, that's important but that's not
5 sufficient.

6 So that's why I think you hear some of these
7 different comments about how much we need to know and that's
8 why I emphasize to understand the roles and responsibilities
9 because not only are the distribution folks the ones who
10 know their systems, they're the ones that are going to see
11 that increased volatility at the edge which tends to be kind
12 of masked at the system level by a sort of law of large
13 numbers effect.

14 MR. KATHAN: Audrey?

15 MS. LEE: Yeah I was just going to respond to
16 Chair Hall's comment. And I think we can agree to that
17 except that I think that process should be very transparent.
18 I think it should involve the aggregator, the aggregator
19 should understand the exact situation and I would just
20 mention in some of the previous panels when discussions in
21 California and being able to map out the distribution system
22 and understanding hosting capacity and local net benefits,
23 you know, hold up San Diego Gas and Electric in California
24 as having some great data publicly available on their
25 distribution systems showing hourly loading of their

1 distribution system and that helps the market understand
2 where it can provide the best value to that distribution
3 system at the same time as providing that value to the
4 wholesale market at the same time.

5 So I just think that there's a transparency in
6 process so that it doesn't get used against DER aggregators.

7 MR. KATHAN: And Mr. Crews?

8 MR. CREWS: Thank you, yeah I tend to agree that
9 role is an important concept here because today I can't tell
10 you what our role will be because it's -- we just, there is
11 not -- it's not defined well so when it's not defined I try
12 to make some definition of it and try to make it work in my
13 head.

14 And so we're talking about selling into the
15 wholesale market from a -- from a residential home with a
16 battery, let's just take that for example. So we can argue
17 whether that energy ever leaves the home or whether we need
18 a distribution wheeling tariff to wheel it from the home up
19 to the transmission level so it can be sold at LNP.

20 Regardless, we're going to need some
21 sophisticated metering to do this because the meter that our
22 distribution co-ops, and I told you we have 16, we have got
23 5 different meter packages or 5 different companies
24 providing meters for our 16 cooperatives and I can assure
25 you that each one of those companies have different models

1 of meters and I don't have -- I've got multiple models from
2 different companies on my system so I've got to figure out
3 how to accommodate that.

4 And then I've got 3 accounting, 2 accounting
5 softwares -- SEDC and NISC and then they've got multiple
6 releases of that we're going to have to deal with. But
7 there's going to have to be a settlement between the
8 aggregators and the distribution company alright because the
9 fact of the matter is when they turn those batteries on it's
10 going to at least slow the meter down that we have
11 delivering energy to that home if not delivering energy back
12 to the system.

13 And a lot of my businesses talk to me
14 colloquially but I've always been told you have to have
15 control of the cash -- the cash box, alright. So we're not
16 likely to give control of the cash box to anybody else. We
17 will have a check meter as Audrey pointed out and then so
18 we're going to have to take what was delivered, add it back
19 to the meter for our retail because what was going to that
20 home that was not displaced by the battery going back onto
21 the system was a retail sale.

22 And then we've got to figure out how to settle
23 with the aggregator on either how to credit the customer and
24 I don't know whether they're expecting us to credit through
25 our bill to the customer or if they're going to have a

1 separate settlement with the customer -- I don't know today
2 what they want us to do.

3 I can tell you that I'd rather than have a
4 separate settlement with the customer because if there's
5 something wrong with their settlement with the customer I
6 don't want to be involved with the disruption of that
7 settlement.

8 So there are a lot of roles that are not defined
9 today about how we're going to do this. It's -- you know
10 there are just a lot of things that are not defined and it's
11 -- we're going to and there are a lot of different ways to
12 do it and I'm not saying that it can't be done, but -- but
13 there are a lot of stuff to be figured out.

14 MR. KATHAN: Mark?

15 MR. ESGUERRA: So I just want to kind of weigh in
16 on a couple of things I heard. One it's in regard to our
17 role and also in regards to complying with the
18 interconnection agreement. I think I heard it mentioned
19 that as long as the DER's complying with the interconnection
20 agreement it should be fine.

21 While I agree under the low penetration type
22 scenarios that that may be fine but as the penetration
23 starts to increase and you start to have these aggregate
24 resources that have a separate interconnection agreement,
25 there's going to be potential gaps in terms of what is

1 actually been studied in aggregate versus what has been
2 studied individually.

3 For example, some of these DER's set the day for
4 Pacific Gas and Electric. We connect about 4,000 net energy
5 meter rooftop solar a month. We have roughly a three
6 business day turnaround so we've identified ways of how to
7 streamline that process in a very efficient manner.

8 What's going to get to a point when we start
9 thinking about if these resources are going to aggregate and
10 respond to wholesale market signals, does our current
11 interconnection safety and reliability review process --
12 does it capture all of those elements?

13 And I think what we're starting to see is under
14 low penetration scenarios maybe not -- but under when you
15 start moving higher and higher we start to see some of the
16 impacts such as voltage because clearly when we plan and
17 designed a lot of these interconnections we didn't envision
18 all of these resources now turning up and down at the same
19 time to respond to a wholesale market -- that could actually
20 create a safety and reliability impact on customers on the
21 feeder.

22 The other -- the other item in terms of what we
23 believe our role is in regards to coordination and ensuring
24 safety and reliability of the grid. And the example I'd
25 like to bring up would be maybe a future state, not too far,

1 where there are potentially two different aggregators on a
2 distribution feeder. Aggregator A is selling
3 wholesale services to the ISO. Aggregator B is selling
4 wholesale services to the distribution utility. If we're
5 not careful, we're not mindful about being aware of what the
6 aggregators are doing, we could run into a situation where
7 there are potentially conflicts. Where aggregator A is
8 asked to charge -- in California we have issues such as a
9 duck curve and potentially the CAISO may ask them to
10 actually charge and try to help a load go down.

11 But for the distribution utilities maybe that
12 feeder is something that we actually want the demand to be
13 down and we've enlisted the help of another aggregator --
14 aggregator B to actually discharge and to be able to put
15 power back on to the grid.

16 And so if they're both firing at the same time
17 you could have situation where none of the parties, the ISO
18 or the utilities get the response we're looking for and that
19 leads to an inefficient grid. And so even more reason why
20 the utilities need to be more aware of what the aggregators
21 are doing as well as what type of information is out there
22 in terms of trying to coordinate their response to ensure we
23 have an efficient, safe, reliable grid.

24 MR. KATHAN: Before I move to Audrey I just want
25 to recognize that Chairman Chatterjee -- elevated to

1 Commissioner Chatterjee is here. Audrey?

2 MS. LEE: Thank you. I wanted to respond to
3 David Crews' comments in terms of how exactly this will
4 work. I think that's key is that we don't know and I think
5 we need to allow the market to come up with competitive
6 solutions to figure out how.

7 I mean it could be that as an aggregator that we
8 use a wholesale forward capacity contract in order to
9 finance a battery for a customer and reduce the upfront cost
10 for that customer and that's where the revenues flow. Or it
11 could be they flow directly where we share a portion of
12 those revenues on a monthly basis with that customer.

13 And so I think we need to allow ourselves that
14 flexibility and allow the market to come up with these
15 solutions as we can. In terms of, you know, how they could
16 be used I think we have to constantly ask ourselves whether
17 we're prejudicing ourselves to the existing architecture of
18 a large generator or power plant.

19 And we can't continue to think of us as a single
20 -- single purpose assets and we can't think of DER's as
21 equivalent to demand response -- they're different and
22 that's where a lot of behind the meter DER's are awkwardly
23 being forced into some markets.

24 And finally I think in a lot of the previous
25 panels there was talk about non-dispatchable net energy

1 metered solar which is very different than dispatchable
2 storage that's charged by a NEM solar system so solar plus
3 storage. And so there is multiple purpose and shared
4 investments so you may have the customer paying for a
5 portion of that, the aggregator paying for a portion of that
6 investment through wholesale market participation or
7 distribution participation.

8 And I think I can leave it until later, you know,
9 discussing actual deployments of these and how these work I
10 think along the lines of what Mark Esguerra was talking
11 about -- I think it helps to talk about specific examples.
12 So a NEM solar paired with a battery behind the meter, you
13 could be compensated to charge for the solar mid-day because
14 of the belly of the duck to reduced exports in California
15 and the CAISO does have a stakeholder -- stakeholder process
16 for that.

17 And then the batter could be scheduled to
18 discharge in the afternoon whether load reducing or
19 exporting from 3 to 6 p.m. because of a time of use tariff
20 on the retail side. But then the very next day they could
21 be discharged by the DSO to meet a distribution need and
22 then the next day after that they can be discharged by the
23 ISO for a transmission system need or an energy market need.

24 And then one day in the future all night long
25 could be doing frequency regulation behind the meter. So I

1 think the coordination part is very important but we -- but
2 there's no reason so think that aggregators cannot sign
3 contracts with utilities and ISOs at the same time and
4 coordinate that and make that all possible.

5 MR. OWENS: So the question is should the
6 aggregator have that responsibility or should the
7 distribution utility have that responsibility? The
8 aggregator does not have the responsibility of maintaining
9 reliability and safety -- and so it does have that
10 responsibility.

11 So I do agree with you about the broad array of
12 functions that different distributive resources can provide
13 which are very beneficial to the utility but someone has to
14 have that responsibility of maintaining reliability safety.

15 Another way to say it is someone has to have the
16 responsibility of looking at the total system or looking at
17 all the distributive resources that are connected to that
18 system and having some level of visibility and some level of
19 coordination control over those resources.

20 Transparency is very important. It was pointed
21 out that you can probably address many of these issues
22 through the interconnection agreement and I disagree with
23 that because the systems are evolving. The technologies are
24 evolving. The infrastructures are evolving.

25 And so it's very, very important that the

1 distribution utility not only had the ability to see the
2 sources connected to its system, but also it had the ability
3 to understand when those -- when those resources are
4 aggregated and seeking to go to the wholesale market.

5 Utilities have to know about the implications of
6 those resources that are aggregated moving to the wholesale
7 market because of the impact on flows, because of the
8 general role impact, most utility distribution systems are
9 readily designed -- not like a transmission system which
10 emits networks.

11 And so that means that you've got to see at all
12 times what's occurring on your system. So while I agree
13 with many of the points that you made, I think the
14 fundamental issue is someone has to have the responsibility
15 of looking at the total system, looking at the impacts of
16 that total system of a distributive energy resource that's
17 aggregated and moving to the wholesale market.

18 Interconnection agreements alone will not do it.
19 Some technologies will not do it. There has to be the
20 knowledge that the utility that was running the system is
21 able to see that information and make cost effective
22 decisions.

23 MR. KATHAN: Maria?

24 MS. ROBINSON: Thank you. I don't disagree with
25 the idea that transparency is important. I think it was

1 yesterday Chairman Hawke from Ohio actually framed this
2 really well that the distribution utility should be
3 considered a facilitator as opposed to a gatekeeper.

4 And I think from a DER aggregator's perspective
5 they just want to ensure that the distribution utility is
6 not serving as a gatekeeper and preventing the ability to
7 enter markets. I mean we talked yesterday about how the
8 ultimate goal of these two days and this whole conversation
9 is to ultimately increase the participation of DER's on the
10 grid overall and we want to make that as effective as
11 possible.

12 Now I think there are a couple of different ways
13 to potentially do this that would be efficient for both
14 parties. One way would be for the distribution utility to
15 identify specific zones that are able to take on additional
16 DER's and say these are areas where we think that we can
17 facilitate additional resources. I think another area would
18 be if you do have the distribution utility ultimately have a
19 review of this process that you limited to some relatively
20 short period of time.

21 I know the gentlemen from PGE mentioned a
22 three-day turnaround for interconnection. We were thinking
23 something around 10 days for review in order to show
24 significant cause for reliability concerns.

25 I think ultimately we just want to make sure that

1 third parties are actually able to compete in the
2 marketplace and aren't dealing with burdensome requirements
3 that are uncompetitive.

4 MR. KATHAN: Let me actually do a follow-up you
5 know, based on, and I'd like to hear other people's opinions
6 on this is what Maria was just saying. A follow-up I was
7 wanting to say is should there be a standard of review, a
8 length of time as indicated by Maria in the RTO tariff or in
9 rules for the distribution utility to have a chance to
10 consent or to participate in the coordination.

11 I'd like to hear some comments on that, alright
12 Peter?

13 MR. LANGBEIN: Great, there's an advantage to
14 forgetting when you leave something up there. Yeah so one
15 of my points I was going to make and I hear coming out loud
16 and clear here clearly coordination is needed. You know
17 when we go through the interconnection process any entity
18 that would be impacted is involved. Maybe those studies, I
19 think as Mark was pointing out , may evolve over time
20 relative to the amount of penetration that there is and, you
21 know, studies need to be handled maybe a little differently
22 in the future than they have in the past.

23 You know, what I would think is that we would be
24 able to get that done up from -- from market entry and then
25 somebody's in the market and participating as opposed to

1 something that iterates ongoing that we want to be able to
2 establish a process up front.

3 That way when somebody's in the market they're
4 there to compete against the other resources, you know, from
5 a wholesale market standpoint.

6 MR. KATHAN: Mr. Crews?

7 MR. CREWS: The reason that you, Peter, was that
8 he put his card up after I think I heard Audrey say that she
9 would sell it to the ISO or the RTO one day and the
10 distribution company to the next. Then my understanding is
11 that most RTOs if you sell capacity you're obligated to sell
12 to the RTO and you don't get to shop.

13 MS. LEE: I was talking about energy.

14 MR. CREWS: Even energy, if you sell the capacity
15 you're obligated to have that energy to sell into the market
16 is my understanding and I thought --

17 MS. LEE: That's if you bid -- if you bid that
18 energy back Dave and not bid it another day.

19 MR. CREWS: In my opinion if you sell capacity
20 you should have to behave in the market like the capacity
21 resource and if I see and I do sell my capacity and then I
22 have obligation to offer my energy into the market every
23 day. So I don't have an opportunity to sell my energy to
24 another entity when I participate in the PJM market and
25 Peter, correct me if I go astray, but I'm obligated every

1 day to sell my -- to have my energy ready to deliver into
2 the market if I sold my capacity into the market.

3 And that's just -- I'll -- I don't think you get
4 to shop when you sell your capacity into the market.

5 MR. KATHAN: Do you want to respond Audrey?

6 MS. LEE: Yeah just briefly. I think it's --
7 it's so complicated because in California there is no
8 capacity market that lies with the distribution companies
9 and there is an energy market in the CAISO and then in other
10 markets in PJM and you -- obviously you can go in, there is
11 a forward capacity market.

12 And so I think we just need to talk more
13 specifics but I can wait my turn.

14 MR. KATHAN: Mark, I'd like to hear from you
15 especially talk about the California process.

16 MR. ESGUERRA: So the California process in terms
17 of DER aggregation -- so things that we're looking for is
18 actually to evaluate these individual resources and things
19 that we're checking for to understand if there isn't going
20 to be any conflicts as I mentioned earlier.

21 A point that I wanted to make was in terms of
22 should there be a timeline listed in the ISO/RTOs Tariff,
23 and I think a timeline might be a little premature although
24 I get it -- there has to be some certainty on their end and
25 utilities are definitely motivated to move these

1 interconnections along.

2 I think particularly for California, I think
3 you've seen California really take a leadership approach in
4 terms of streamline the process and I think we also want to
5 take a similar approach but we don't want to get too far
6 ahead of ourselves where we're compromising safety and
7 reliability.

8 As I mentioned in my earlier points, these things
9 are interconnected on a distribution grid which is highly
10 re-configurable. We have many different points where it
11 gets switched in and out so there may be multiple scenarios
12 we may be required to look at and to try to get those
13 studies done in three or I think I heard like a week and a
14 half -- 10 days, could be a challenge without further
15 sophistication in tools, more information, data, down the
16 road to be able to help streamline and automate some of
17 these processes.

18 So although I hear the question out there about
19 should there be a timeline and I think that might be
20 something that it might be premature to put out there but
21 there definitely should be some indication of timeline or
22 when high level response should be able to get back on this
23 if it's feasible or not, or this will require more detailed
24 study.

25 MR. KATHAN: Maria, I think you're card has been

1 up.

2 MS. ROBINSON: So, again, to quote from yesterday
3 Chairman Hawkins -- there are two types of barriers here
4 that we're facing -- we're talking the distribution system
5 barriers, the reliability barriers and then sort of
6 marketplace policy choices. And that's why we have been
7 talking mostly about having it as part of the
8 interconnection agreement in order to give that -- give the
9 distribution utility the opportunity to discuss the
10 reliability concerns of joining the wholesale market at that
11 point in time.

12 I think that is probably when it's most
13 appropriate and most efficient for the aggregators in order
14 to go through that process not multiple times with their
15 customers but only through that one time and as part of that
16 agreement I think to what Chairman Hall was saying, you know
17 the PUC is involved in that process it's not as important to
18 him sort of the specific timeline whether it's when the
19 interconnection happens or when we join the wholesale
20 market.

21 But I think allowing the opportunity to join the
22 wholesale market should be just a given to these DER
23 resources as they join the grid.

24 MR. KATHAN: I just have one follow-up question
25 on that which is you refer to the interconnection -- that's

1 at the initial interconnection the DER asset would be
2 connecting. Are you saying that's the only time an
3 interconnection or would there need to be one when the
4 aggregation of several were put forth into the market?

5 MS. ROBINSON: I think we were talking
6 specifically about the individual aggregation. I think the
7 other appropriate time would be at the aggregate point --
8 Audrey I don't know if you have specific thoughts on that
9 too.

10 MR. KATHAN: I know Jeff has had his card up for
11 a while so I'm going to go to Jeff and then to Audrey.

12 MR. TAFT: So a lot of this discussion seems to
13 sort of presume that this is kind of a one-time thing to
14 say, you know, can this DER be connected? What information
15 should be shared about it to decide if it's okay to connect?

16 But you should keep in mind that distribution
17 systems are actually fairly dynamic in terms of
18 configuration. So David mentioned, you know, that the
19 feeders are radials but in fact in a lot of places they're
20 interconnected in such a way that they act as radials but
21 that radial configuration can be changed on a fairly short
22 timeframe when in fact will change a lot in some cases.

23 I did some work with a utility some years ago
24 that was a smallish company and they told me that on a quiet
25 day they would have 100 or more switchings going on within

1 to reconfigure feeders in their distribution system.

2 So that means that -- a DER resource today is
3 connected on a particular feeder and go through substation
4 A. A few minutes from now may actually be running through
5 Substation B because there's been a reconfiguration of the
6 feeder. So this -- this issue gets a little bit complicated
7 as to where they can be allowed to operate and it's dynamic.

8 And the closer you get to the edge, the more
9 volatility gets injected in the whole process here so to be
10 careful not to say, well we should just have a couple of
11 days for the distribution facility to say it's okay to
12 connect it there -- it's a lot more complicated than that
13 and sometimes it is not the same level of complication
14 everywhere in every utility either.

15 MR. KATHAN: Audrey then I will go to Chairman
16 Hall and then Mr. Crews.

17 MS. LEE: Yeah I wanted to offer an example of a
18 case where there is a process for this and I think if the
19 data shows that it is necessary, that we have gotten to a
20 point where we need this coordination, CAISO Tariff Section
21 4.174 does give the distribution utilities a certain number
22 of days to raise concerns with the proposed DER aggregation
23 but I think it's important to note that the burden is on the
24 distribution utility to raise the concern if there's a
25 safety and reliability concern.

1 And then that the ISO -- the CAISO does make the
2 final determination as to the eligibility. So, but the
3 distribution utility does not act as a gateway as Maria
4 mentioned -- mentioned earlier.

5 And just to respond quickly on Mr. Crew's
6 comments -- the theme last night about multiple uses -- if
7 you imagine 500 people at the front telecommuter today or on
8 any given day and didn't come to work, does that alleviate
9 congestion on the highways and parkways or does it alleviate
10 congestion on the city streets, or on the Metro or in the
11 FERC parking garage, or the FERC elevators or the FERC
12 coffee machine?

13 And so, of course, those telecommuters provide a
14 value to all those different places and so that service, you
15 know, should be credited for all of that value. And you
16 could take that a step further in terms of the coordination
17 question of -- well if the FERC coffee machines are more
18 free now you can create an app and tell your neighbors to
19 come on over and use your coffee machines.

20 And so I think we can -- these are all problems
21 that we can get over with better visibility and transparency
22 as you say, but really keeping in mind that we want to add
23 value to the system, provide more efficiency, reduce costs
24 and reduce these burdens as we do that.

25 MR. KATHAN: Chairman Hall?

1 CHAIRMAN HALL: Thank you, so I mean I don't
2 really want to get into the dichotomy between gatekeeper and
3 facilitator because I think it's kind of false dichotomy. I
4 do think though that the utility that knows the distribution
5 system the best has to play a role in the process before
6 there is aggregators linking up to the wholesale market.

7 And if there's concern that the utility is going
8 to act unreasonably then it's -- I think all that's required
9 is that you set forth very specific criteria to be applied
10 when -- when making the determination as to whether or not
11 registration should go forward.

12 That criteria could be set by -- could be set by
13 FERC, it could be set by -- by the RTO in the tariff, it
14 could be set, perhaps, by the state and reviewed by FERC.
15 I'm not sure it really matters but as long as the criteria
16 is clear and the utility applies it, I think that gets us
17 beyond the gatekeeper facilitator dichotomy.

18 MR. KATHAN: Mr. Crews?

19 MR. CREWS: Thank you David. I'd like to point
20 back to the kind of pass that Audrey and I had a minute ago.
21 She was thinking about the California ISO and I, in turn,
22 was thinking about PJM which you know, really points out the
23 differences in the operating characteristics not only at the
24 RTO level, much less at the distribution level.

25 And I apologize for that passing. But the other

1 thing that needs to be considered in that venue is the
2 penetration currently and California has a much higher
3 penetration than say, Kentucky. And, you know, and there's
4 no doubt potentially more need in California for some of
5 this to happen than there is potentially in Kentucky.

6 Because our penetration of solar is modest and
7 our penetration of batteries is even more modest and so for
8 us to go through the administrative cost of developing
9 tariffs or at this point is burdensome to potentially our
10 other customers in Kentucky. And that's why I advocate that
11 states should have the right to opt in and out of this
12 because I think the Public Service Commission is -- is a
13 good person to judge as to when it's time for a state to
14 start offering tariffs.

15 When is there enough penetration of these assets
16 within their service territory to start advocating for
17 tariffs? I mean, you know, make no mistake, you know, given
18 the diversity of metering packages and everything else, it's
19 going to be an administrative burden for us and our members
20 to accommodate that.

21 And when our members have enough of this out
22 there that they want it, we'll do it. We're cooperative and
23 we're owned by our members and when our members, you know,
24 come to us and say this is what we want to do we accommodate
25 them.

1 But the other thing that we have to be mindful
2 about and I was talking to one of my NRACA folks earlier
3 about the modulation levels here on the table with some of
4 our soft-spoken, and I'm not problematic with that but we
5 have had some folks that were soft-spoken and you can solve
6 that problem right -- because you can have a different
7 modulator for each one of these mics and everybody could
8 hear -- hard of hearing people like me could hear.

9 You could solve these problems it's just a
10 question of is it -- is the money spent worth solving the
11 problem and I think I would advocate that that's why I think
12 there's a good cause for the states to have a role in
13 deciding when it's time to offer some of these programs.

14 MR. KATHAN: Maria and then Pete and I want to
15 move on to the next question.

16 MS. ROBINSON: Sure. So I want to respond to Mr.
17 Crews' comments there. Yesterday we had the conversation
18 that this is extremely consumer driven and I believe the
19 gentlemen from NERC earlier today said this is coming and we
20 need to be prepared for it happening.

21 I know in addition to the types of companies that
22 I mentioned earlier, we represent large corporate purchasers
23 and they're really interested in this DER aggregation.
24 Think about how many Walmart's there are across different
25 areas and they all have solar panels on top of them.

1 And so I think this needs to be in place -- these
2 tariffs need to be in place in order to allow that
3 opportunity because the consumers are demanding it. You may
4 not necessarily be hearing it directly from muni's and
5 co-ops and the IOU's themselves, but the individual consumer
6 is demanding it.

7 I wanted to concur with Chairman Hall's comments
8 that there should be some very specific criteria set up for
9 reliability purposes and I do think it still is a question
10 of timing. Mr. Taft's comments said it's almost an ongoing
11 review process.

12 But I think if that were to be the case there
13 would need to be some serious process set up where there's a
14 written affidavit from the IOU talking about what the
15 reliability concerns are and then a review process that
16 allows for appeal at the RTO level or even at FERC in order
17 to question whether that reliability concern is actually
18 real or not.

19 I think that if we're going to go in that direct
20 there needs to be an appeals process in order to allow for a
21 little less of the "gatekeeper role".

22 MR. KATHAN: Pete?

23 MR. LANGBEIN: Great, thanks David. I was just
24 going to, you know, mention in the DER world where we do
25 have DER that's just modifying load and I know that's a

1 little different as Audrey said.

2 We've had quite a bit of success with
3 aggregation, you know, and coordinating that aggregation
4 across the various parties including the EDC. Again, the
5 goal and the primary purpose of that aggregation is just to
6 be able to participate -- to get enough mass to be able to
7 participate.

8 So while the vast majority of resources that
9 participate don't aggregate, we have been successful with
10 the smaller ones to get them above that 100KW threshold so
11 they can participate in the wholesale market -- be another
12 resource to compete, another choice to be able to provide
13 that wholesale service.

14 And I think as Chairman Hall mentioned, as long
15 as that criteria can be clear of what would need to happen,
16 you know, in that process, you know, to ensure safety and
17 reliability then it seems like we may be able to extend a
18 model like that in some form.

19 MR. KATHAN: Alright I'm going to move to the
20 next question and this is moving away from the distributive
21 role, but more to the question of coordination, and
22 specifically are new processes and protocols needed to
23 ensure coordination amongst DER aggregators, distribution
24 utilities, RTOs, ISOs, during registration of new
25 aggregations?

1 And we'll be talking about in the next panel
2 about near real time but the question is does there need to
3 be new protocol and processes and Mark, I'd like to turn to
4 you specifically, because I know there's been efforts in
5 California to try to develop that type of framework -- could
6 you describe that please?

7 MR. ESGUERRA: Thank you, thank you. So there's
8 been a lot of work on this in California. We put together
9 information in a white paper under the more than smart TD
10 interface white paper. And some of the things that came up
11 we took some examples from demand response.

12 And so maybe just to take a step back. So the
13 answer to the -- the high-level answer is yes, there will be
14 a need as penetration increases to have additional new
15 processes or protocols.

16 And one of the findings that we found was the
17 three entities directly involved in DER participation and
18 wholesale markets and this is around demand response --
19 pretty much the RTOs, ISO, the DO and the DER aggregator.
20 One of the important observations that we've come today and
21 this is maybe more California centric that can't speak for
22 PJM in our other areas is that the ISO communicates directly
23 with the utility transmission operator regarding the
24 dispatch of the various utility -- non-market utility DR.

25 And the utility will manage the dispatch of these

1 resources. Think of a future -- a high DER future. The
2 coordination between the ISO and the TO will probably
3 necessarily still remain but the ISO and the distribution
4 company coordination on operational matters will require
5 more direct communication.

6 And so something that we saw there is that today
7 there isn't much direct communication between the ISO and
8 the DO and it probably works right now to the current model
9 but as you start to have these distributed resources
10 participating, providing different services, there will
11 probably be a bigger need for that.

12 The other finding is that the RTO and the ISO
13 dispatching DER's without actually knowing the impact of
14 what those dispatches are feasible or not on the
15 distribution system. And then the other item here is more
16 on the visibility side that currently right now in terms of
17 DER participation and more for the ISOs, there's not really
18 adequate methods to forecast how this DER participation can
19 affect the net load and other important electric
20 characteristics such as voltage at the TD interface.

21 And so something that you've heard throughout the
22 rest of the panels is, you know, in terms of the
23 distribution utilities and their visibility, we don't have
24 the same level of visibility, control and situational
25 awareness of DER's as our ISO, RTO counterparts have on

1 transmission connected generators.

2 And what we're finding is that these changes will
3 only increase as numbers of DER's increase and the different
4 services and so it's necessary to start thinking about what
5 are some of these processes to enhance not only the planning
6 coordination which we talked about in terms of looking at an
7 aggregate study, but as well as the operational
8 coordination.

9 And so this -- we talked about this would require
10 some review requirements assessing the impacts as well as
11 the time tables all on how the utilities can turn that
12 around. But we also understand that there could be regional
13 differences in transmission and distribution systems around
14 so that they might have different market framework and so
15 consistency and clarity of the expectation to the extent
16 that we could achieve it would benefit all parties.

17 And so something that we've been working on -- on
18 a collaborative front is we have been, you know, the
19 utilities have been working with the ISO's on mapping out
20 what that interconnection process would look like in
21 aggregate and really attaching timelines, how it fits with
22 the ISO's timeline for interconnection and some of that
23 requires also, you know, early consultation from the DER to
24 reach out to the distribution utilities to start doing an
25 early review in that.

1 One of the potential areas that we want to
2 consider would be would there need to be some sort of
3 coordination agreement or integration agreement of these
4 aggregated resources which, you know, we're going to be
5 going through this analysis to understand what are the
6 implications, but there may be some operational
7 requirements that may be needed and if there are potential
8 distribution upgrades, you know, are there opportunities to
9 give information early on to the aggregator?

10 So they may want to adjust their aggregation or
11 they may want to site some of the resources in a
12 non-congestion distribution feeder. So it's more than just
13 applying, you know, distribution upgrades and other
14 operational requirements but also providing early
15 consultation to give feedback to the aggregators on what is
16 possible.

17 MR. KATHAN: Chairman Hall?

18 CHAIRMAN HALL: Thank you. I think it is
19 absolutely clear that there will be a need for new processes
20 and protocols but what I would strongly advocate is that do
21 not go to a one size fits all approach there. I think that
22 the difference RTO to RTO are sufficiently significant that
23 you should leave -- leave that to the RTO/ISO to develop
24 through the stakeholder process and then submit a tariff for
25 your review.

1 MR. KATHAN: David?

2 MR. OWENS: I thought Mark gave a real
3 comprehensive answer and I'm just going to piggyback what he
4 said. So my answer would be yes as well and I think I would
5 say there needs to be coordination between the EDU and the
6 distributive resource and perhaps you do that through some
7 form of an integration agreement.

8 There needs to be coordination between the EDU,
9 the transmission owner or operator, the EDU, the ISO and the
10 RTO. So there needs to be complete coordination in my view.
11 The reason why you want the coordination between the EDU and
12 the distribution resource is as I mentioned earlier, because
13 in a distribution system it's a system that's constantly
14 changing -- for the most part it's a radial network.

15 You want to be able to coordinate with that
16 distribution resource to the degree that there are
17 limitations on some of your distribution facilities and the
18 distributive resource needs to know that.

19 If the distributive resource is taking to
20 participate in the wholesale market, you can give that
21 distributive resource information that will help them make a
22 better -- a better relationship -- a better involvement in
23 the wholesale market.

24 You need the distribution resource, you need the
25 utility to be able to communicate directly with the -- with

1 the transmission operator as well as the ISO and the RTO
2 because they're changing conditions that are always
3 occurring on that utility system.

4 And you need to have some knowledge about the
5 level of aggregation, DER aggregation that is seeking to
6 participate in that wholesale market. You want to be able
7 to understand that with your eyes open because there could
8 be change circumstances that are existing on your
9 distribution system.

10 So it's very, very important that you are
11 coordinating well, that the distribution system's
12 coordinating well with the ISO and the RTO and the
13 transmission operator. So yes, I'm in agreement that there
14 needs to be coordination agreements, but I would not limit
15 that coordination agreement just involving the distribution
16 utility and the RTO and the transmission owner -- there will
17 also need to be the coordination and coordination agreement
18 with the distributive resource.

19 MR. KATHAN: Audrey?

20 MS. LEE: Yeah I'll just reiterate that we -- we
21 would agree with what Maria had talked about earlier about
22 DER aggregations providing a lot of data into -- to the RTOI
23 as a matter of participating in that market providing
24 information anyway and then allowing the ISO to communicate
25 that with the distribution operator rather than having too

1 many complex flows of information in multiple directions
2 keeping it simple.

3 MR. KATHAN: So a follow-up on that question
4 which is, you know, we heard the need or the value of the
5 coordination agreement. Are existing RTO/ISO procedures for
6 communication and coordination flexibility enough, you know,
7 to cover DER aggregation? Could they be scale to, you
8 know, to DER aggregation at this point, Pete?

9 MR. LANGBEIN: Yeah, I think it depends on
10 exactly what we're talking about and that will get down into
11 the level of detail. I think, you know, Mark mentioned
12 things like, you know, dispatch -- so today we have some --
13 we do have a form of -- we do coordinate, we do it in terms
14 of who exactly is participating, who is in that aggregation,
15 you know, a rough idea of the amount that will participate.

16 If, you know, and right now we are working with
17 our stakeholders actively for those resources that want to
18 actually -- that have capability beyond just managing their
19 load of having them go through the interconnection process
20 to make sure all the studies are done.

21 The question is going to be what other type of
22 information needs to be coordinated and then how difficult
23 is it going to be to do that? So today we are coordinating
24 with quite a bit of the information but it really gets back
25 into are we talking real time telemetries all coming in?

1 How does that get coordinated?

2 I'm sure we could work it out it's just a matter
3 of figuring out what is it that needs to be coordinated,
4 what has the value to ensure, you know, reliability and
5 stability and that everyone's in the loop.

6 MR. KATHAN: Mark?

7 MR. ESGUERRA: Yeah so I'd like to answer that
8 question but also provide a response to some other comments
9 that I heard. So in regards to is there enough processor
10 protocol right now and I'd say on the ISO/RTO tariffs, I'd
11 say it works fine for in front of the meter-type resources.
12 So I think we have a pretty good protocol so there are
13 distributed energy resources that are in front of the meter
14 that are participating -- I'd say the protocols work.

15 And something we've had some learnings over the
16 last -- it took us, you know, almost 10 years working on
17 demand response and really working out those protocols and
18 it required actually a heavy collaboration with our state
19 PUC's.

20 So when I take a step back and bring that in to
21 this question I'd say going forward I don't know if it would
22 be the utility should just go specifically to the RTO and
23 ISO when you have a world of where these aggregators want to
24 provide service not only wholesale, but as well as retail.

25 And so some of that information may be better

1 with the distribution utility so just thinking about the
2 coordination where that information should reside -- I think
3 you know, there's probably multiple places but I think the
4 distribution utilities would definitely want to understand
5 how these resources that are particularly behind the meter,
6 aggregated, and they're providing services for retail as
7 well as wholesale and I feel like there's still some space
8 to work there.

9 I think the coordination agreement concept that
10 we've kind of discussed here is a good first start. There's
11 a lot of other potential agreements that we've worked
12 through like on demand response where we could leverage a
13 lot of those learnings on how you actually establish, you
14 know, that retail/aggregator relationship.

15 What are the obligations? What are the
16 interfaces there for it to participate in wholesale? Really
17 taking some of those learnings and as we start to build out
18 this coordination agreement down the road as these
19 aggregators start to look to provide multiple service and
20 more than just demand response products, but wholesale and
21 retail, I think a more comprehensive approach and not
22 forgetting the lessons we've learned in the past.

23 MR. KATHAN: Mr. Crews?

24 MR. CREWS: Thank you David. Having just
25 recently joined PJM, you know, I think back on that and when

1 we joined PJM we gave functional control of our transmission
2 system over to PJM because they -- they will be dispatching
3 resources -- ours and others that will be moved across our
4 transmission system.

5 And for them to do the dispatch to an economic --
6 least cost economic security constraint and dispatch, they
7 needed control of our -- not only our generation resources
8 but also of our transmission system so they could run all
9 the studies to make sure that they were going to do it
10 safely as well.

11 What we're talking about is a question here is do
12 we have adequate integration of the distribution system to
13 let the RTO dispatch DER and I would say probably not for
14 some of the things that we've already talked about in that
15 you're given functional control of what is essentially a
16 generation resource to PJM but you're not giving them
17 functional control of the distribution system and I would
18 say it's not likely that our members would agree to give
19 functional control of the distribution systems to PJM,
20 which means we're going to have to have a high level of
21 coordination between the distribution of the distribution
22 operator and the transmission operator at PJM who is, you
23 know, calling for those DER resources.

24 So that's -- that's the point I wanted to make.

25 MR. KATHAN: Marie I think you had your card up

1 first.

2 MS. ROBINSON: I just wanted to quickly respond
3 to Mark's comments and to clarify. I think the point that I
4 was trying to make and I believe Audrey was also trying to
5 make is that as long as there's an obvious pathway for the
6 data to go, even if it additional data that you might need
7 beyond what would typically be given to the RTO, as long as
8 there isn't unnecessary duplication of the same data that
9 may have to be in different formats for each individual EDC,
10 you know, we're happy with that type of pathway and to make
11 sure that the distribution utility gets the data that it
12 needs.

13 We just don't want to have to give it in six
14 different formats to six different EDC's when we're also
15 providing it to the RTO in the required format for them as
16 well.

17 MR. KATHAN: And Audrey?

18 MS. LEE: Yeah, I wanted to make the comment that
19 I think I'm personally getting confused because the market
20 rules are so different in different places and just
21 separating California, which I am more familiar with where
22 the utility with authorization from the Public Utilities
23 Commission is authorized to procure capacity, the likely
24 scenario though is that the distribution utility will be
25 procuring capacity from DER aggregators and therefore

1 dispatching those aggregators for both distribution need and
2 system need as well.

3 But then other markets like ISO/New England where
4 there is a forward capacity market where retail is
5 de-regulated. You have passive capacity and it's -- there
6 is a situation where the distribution utility will not have
7 as much control over the asset.

8 So I haven't thought through exactly how things
9 will evolve in a place like ISO New England versus
10 California five years from now, but I think we need to take
11 specific examples. I think we're getting a lot of input on
12 the California side but I don't think we're getting the
13 detailed scenarios for a place like ISO New England and what
14 that looks like and look forward to learning more about
15 actual scenarios for PJM as well.

16 MR. KATHAN: I'd like to move to another question
17 which is what is the best approach for involving the retail
18 regulatory authorities and the registration of DER
19 aggregations in the RTO and ISO markets -- and I believe
20 Chairman Hall it's a good question for you.

21 CHAIRMAN HALL: Thank you. Well I've alluded to
22 this already but from my perspective I think that that --
23 the best way to involve the state regulatory authorities
24 would be to allow the state Commissions to set the criteria
25 for registration and then have the utilities apply that

1 criteria when they're -- when aggregators are trying to get
2 out of the system.

3 That criteria could be reviewed by FERC to make
4 sure that it's reasonable. If there was an argument raised
5 by an aggregator or a utility that could be appealed. I
6 think through that process you have the state regulator
7 that's the most familiar with the -- with the distribution
8 systems within that state setting -- setting the criteria
9 with an emphasis on reliability and safety.

10 MR. KATHAN: Audrey -- Audrey?

11 MS. LEE: If I understand what you just said
12 Chairman Hall correctly, I wanted to make sure I didn't
13 interpret that as the state having jurisdiction over
14 participation in the ISO market and I think we should -- we
15 could believe state jurisdiction over the distribution
16 utility and participation of the DER in distribution
17 services as opposed to getting into ISO.

18 CHAIRMAN HALL: Well I guess I would say at least
19 in the short-term and at least in MISO the aggregation is
20 going to be retail and wholesale in all likelihood. And so
21 in that case I would say yes, that the state should be able
22 to set that criteria.

23 MR. KATHAN: Pete?

24 MR. LANGBEIN: Yeah, I was just going to say the
25 states are involved today in setting the interconnection

1 criteria for things that come through the state level
2 interconnection process but then that's coordinated through,
3 for example, the wholesale market interconnection process.

4 That works for us today, we would envision that
5 would work for us in the future if there are issues and
6 modifications of course we will work with folks on that
7 front. So, you know, it seems like that model, you know,
8 has worked well and we would figure out what would need to
9 involve in that model to kind of, you know, keep that, you
10 know, working through.

11 The other note would be, you know, for the folks
12 that have been purely just managing load, you know, behind
13 the meter, we also have a process where we coordinate with
14 the states, but we do that through the EDC's so we
15 coordinate participation through the EDC's -- the EDC's, you
16 know, interpret what the, you know, the state policy is.

17 And then that would have an impact on, you know,
18 some of the participation requirements that seems like
19 that's been pretty successful in the past, and you know, it
20 seems like something we could leverage in the future.

21 MR. KATHAN: Mark?

22 MR. ESGUERRA: So similar to comments that were
23 made yesterday. I think one of the other panels talked
24 about in California Rule 24 around demand response and so
25 I'm thinking here in terms of the best approach is I believe

1 the retail regulatory authorities will have a critical role
2 to play in establishing clear, consistent and transparency
3 rules regarding mirroring or related mechanisms to ensure
4 among other criteria, wholesale rate allocation for
5 electricity we sold in the wholesale transactions and retail
6 rate allocation for electricity used for retail rate
7 arbitrage in the case of like behind the meter DER's.

8 MR. KATHAN: Thank you, Ray?

9 MR. PALMER: Yeah, hi, let's just move on to
10 another question we're kind of running out of time but this
11 is the last question on our program which is what types of
12 grid architecture could support the integration of DER
13 aggregations into the RTO/ISO markets knowing that a variety
14 of good architecture is being explored in various regions,
15 does it make sense for the Commission to consider specific
16 architectural requirements for RTOs, ISO, for the effective
17 integration and coordination of DER aggregation and I think
18 probably we should start with Jeff Taft.

19 MR. TAFT: Yeah, this is something I spend a
20 little bit of time on all day. When we first started to do
21 grid architecture work for the DOE in 2014, one of the
22 things we did was actually a survey of about 20 different
23 proposed and existing architectures and schemes that largely
24 had to do with integration of DER because that's where there
25 was a lot of focus in changing things.

1 And when we think about architecture the
2 architecture is in general -- system architecture is about
3 the structure of things -- it's a high level view of how
4 things are connected together and how they interact with
5 each other.

6 We think of the grid in particular as a
7 collection of structures. One of them is the electric
8 infrastructure and although we hear a lot of references to
9 it today you'll find people thinking about architectural
10 approaches to DER integration and actually start to ignore
11 that electric infrastructure.

12 It is never possible to actually ignore the
13 electric infrastructure even though people start to forget
14 about it and act as if it has either infinite capability or
15 is somehow static -- it's neither of those things.

16 There's also an industry structure piece to this
17 -- all these different entities that we've talked about in
18 the ways that they're interconnected and then we get to
19 coordination and control, communication, sensing and
20 measurement -- all of those other things.

21 And something that we have worked a lot on that
22 people don't always recognize as being a structure is what
23 we call coordination framework. In a sense it's a
24 mid-a-structure it's the way that all these things are able
25 to work together to solve a common problem -- there's

1 actually a basis for that in control theory.

2 The interesting thing about our utility industry
3 in the U.S. is that there are places where the coordination
4 of framework is quite explicit and easy to identify and see.
5 There are some places where it's kind of hidden inside
6 something else but it's there and there are places where it
7 is flat out missing.

8 And the most obvious place where it's flat out
9 missing is between system operators and distribution service
10 providers. And the reason is that in the past it wasn't
11 really necessary. And it didn't start to become necessary
12 until we started to see the proliferation of DER and that we
13 could see that DER would have an impact on the bulk system
14 either inadvertently through the export of volatility or
15 because people wanted to be able to use those resources to
16 aid in bulk system operations.

17 But without that coordination framework piece,
18 that sort of missing link that has led to all the kinds of
19 problems that you are talking about today. So there are
20 architectures that attempt to solve that problem by doing
21 what we call grand central optimization -- let's get all of
22 the data from everything all together in one place and solve
23 this gigantic optimization problem and figure out all the
24 dispatches and all the settings and put that all back out --
25 that's sort of one extreme.

1 And there are proponents for that kind of
2 architecture. On the other extreme are extremely flat
3 highly distributed approaches and we saw a lot of this in
4 the RPE work a few years ago that says, you know everything
5 is a peer of everything else and all we have to do is make
6 sure that there's sufficient communication and information
7 will flow and if we have the right kinds of rules all this
8 stuff will work out and everything will balance and be
9 stable.

10 And you can find papers that show mathematics
11 that say that will be fine. But that doesn't take into
12 account a lot of the issues that we talked about today like
13 rules and responsibilities. If you have a highly flat
14 diffuse system, people are going to become concerned about
15 well who's responsible for reliability here if all of these
16 pieces are just acting sort of independently.

17 So there are a range of architectures that fall
18 in between and they recognize the fact that our electric
19 system has a kind of structure built into it already and a
20 really simplified way is sort of a three-tiered arrangement.

21

22 We have a bulk energy system, we have
23 distribution systems and we have all of that stuff that's
24 connected to the distribution level. It's more complicated
25 than that but that's a rough picture of it.

1 That three layer model is a pretty important
2 thing and we know from lots of other system experience that
3 the value of a three layer model or more than three layer
4 model is that the intermediate layers can help separate what
5 goes on at the upper layers from the bottom layers and the
6 sense of protecting them from bad effects.

7 So you should take advantage of that and think
8 about that in these architectures and say you know what --
9 maybe there are roles and responsibility changes that need
10 to occur especially for distribution and maybe those go
11 along with changes in business model for distribution.

12 For the longest time distribution's business
13 model has been to be a one-way delivery channel to break
14 electricity from the bulk system to consumers and that's
15 changed quite a bit. It's changed because of proliferation
16 of DER and because of what people want to do.

17 So maybe that business model, maybe the roles and
18 responsibilities change so that at the transmission
19 distribution interface, instead of thinking of distribution
20 as being essentially a load that flows from the transmission
21 system, it starts to look more like a combination of load
22 aggregation point and a generation tie point.

23 So that there's a bi-directional action there,
24 and then it looks more like a peer to all of the other
25 things that are connected and being sort of dealt with

1 through the system operator. So some of the discussions
2 that you are hearing about distribution system operator
3 models and there are several models, are not so much about
4 is there a need for a distribution level market for DER,
5 that's almost a little bit of a side issue.

6 It's about how to coordinate between the
7 distribution systems which are the inherent layer between
8 the bulk system and the DER's and any system operator or
9 balancing authority that would be responsible for the wider
10 area there -- that's the discussion is about -- what should
11 that set of roles and responsibilities be?

12 And one way to think about it is to say the
13 distribution system operator comes to an agreement with the
14 bulk system operator at that interface about the exchange of
15 energy and services and then the distribution system
16 operator manages all of those resources in its service area.

17 The aggregators have a tendency to want to say
18 well do I want to operate directly into the wholesale
19 markets? Well you can accommodate those things but what you
20 have to remember, operationally you have to make sure that
21 distribution reliability is maintained and safety and so on.

22 So you don't want to start creating arbitrary
23 lines of connection that we started to see evolving back in
24 the 2012 or plus timeframe. And we call that tier
25 bypassing. So if you think of these three tiers I talked

1 about -- if you start to have these things that go from the
2 bulk system down to the edge and back up and bypass that
3 middle tier, you create a lot of problems for the middle
4 tier.

5 And you hear the folks who are in the middle tier
6 here talking about that today. So creating a lot of ad hoc
7 connections like that is sort of creating a kind of chaos
8 and so the architectures that regularize that to sort of
9 organize that by setting the roles and responsibilities and
10 saying you know there is a layered kind of a structure that
11 we can apply here, help clean all that up.

12 And in terms of what you might want to think
13 about the Commission. I don't think it's so much a matter
14 of saying that the Commission should try to develop an
15 architecture and impose it on everybody -- I think that
16 probably wouldn't work.

17 I think it is more a matter of thinking about
18 these big structural issues of what do the roles and
19 responsibilities look like and what are the major boundaries
20 that ought to be laid out -- and when you think about that
21 in terms of -- say if you look at California or New York,
22 you know, the system operator service area is roughly
23 consonant with the state.

24 So they have this ability to work with the state
25 Commission, but when you look at the other ones that are

1 multi-state, now you've got a different kind of a problem
2 that those individual states all have to deal with the same
3 system operator and vice-versa.

4 And so maybe some rough structural guidelines
5 help all of that get resolved so that they can figure out
6 individually what the best form of that actually is. So I
7 would say the answer is you know, the architectures that are
8 feasible and plausible are not at the extreme of highly
9 centralized and highly distributed, they're more hybrid in
10 between, they're probably multi-layer in nature and the
11 Commission might want to think about, you know, some gentle
12 guidelines in that direction, not trying to say well we're
13 going to write a detailed architecture and say this is it
14 for everybody.

15 MR. KATHAN: Thank you Jeff, I'll take comments
16 from Mark and Audrey and then I know that Commission
17 Chatterjee has a question so let's ask -- have these two
18 comments and then we'll move to Commissioner Chatterjee's
19 question.

20 MR. ESGUERRA: So this is Mark -- Mark Esguerra,
21 so building off of what Jeff mentioned there and one of the
22 points I mentioned earlier was that there was going to be a
23 greater need to coordinate between the ISO/RTO and the
24 distribution operator and I think that's something that as
25 we get higher and higher penetration I think I'm hearing

1 that message pretty clear in Jeff's message as well.

2 But as far as grid -- kind of what the grid needs
3 itself in terms of a building us out -- I think there's this
4 basic question about grid infrastructure, some foundational
5 grid infrastructure that just needs to be deployed.

6 The distribution grid needs to be modernized to
7 be able to accommodate this and we've talked about it in
8 terms of providing additional hosting capacity, additional
9 flexibility but we also heard the theme about additional
10 system monitoring and management.

11 So additional grid visibility as well as
12 visibility into the DER's to understand what's going on in
13 that area. And once we have that data, you know, the
14 distribution systems, the operator desk needs to be
15 modernized in terms of some form of integrated grid
16 platform.

17 There's going to be a lot of discussion about
18 advanced distribution management and how do you bus all that
19 information into some system that can automate and analyze a
20 distribution grid in a fashion that is what the market is
21 expecting?

22 MR. KATHAN: Audrey?

23 MS. LEE: Thank you, in the terms of architecture
24 I think you know, we have two -- two pads ahead of us and I
25 talked about our 20% adoption of storage and that's only

1 growing for our customers. And given that technology costs
2 are rapidly declining, especially for energy storage, and
3 our residential customers are seeking rooftop solar combined
4 with storage.

5 I think we can either go down one path where we
6 deploy -- we sell all these batteries to customers, they're
7 buying it for back-up during an outage. It gets utilized 1%
8 of the time when there is an outage and 99% of the time it
9 sits idle there.

10 And we will -- and then at the same time we will
11 overbill generation and transmission because we are not
12 utilizing these assets and that will be at great cost to
13 customers.

14 Or we can take a second path and that path would
15 be more of a sharing economy where we are maximizing the
16 utilization of these deployed batteries across the system
17 and today maybe aggregators, tomorrow it could be
18 transactive energy and block chain ledgers in the future
19 where we have a very flat system to do that, to dispatch
20 these batteries for local and system need and reducing costs
21 for all customers.

22 And so responding to Jeff's comments I would love
23 for us to evolve to a DSO and for us to gain value to
24 provide value with these -- provide value for the grid with
25 these distributed energy resources.

1 I think what we do need though because that DSO
2 model is not there yet, we do need wholesale market
3 participation, access in the meantime in order for us to
4 find value. But, you know, how it evolves, the architecture
5 evolves -- as long as we can value assets appropriately I
6 think we would love to participate in that, otherwise we are
7 neutral on that.

8 MR. KATHAN: Thank you. Commissioner Chatterjee?

9 COMMISSIONER CHATTERJEE: Thank you and I want to
10 start by thanking the staff and the panelists for what has
11 been an excellent discussion. I just wanted to press a
12 little bit further on the question of roles and specifically
13 I have a question for my fellow Kentuckian Mr. Crews and
14 anyone else who would like to respond.

15 You mentioned some concerns about ambiguity in
16 the roles of the distribution utility -- the RTO and the
17 aggregator, particularly for settlement. What's the best
18 way to define those roles -- should we be left to work those
19 out on a region by region basis or are you all looking for
20 FERC to define those roles more clearly?

21 MR. CREWS: Thank you for the question
22 Commissioner Chatterjee. You know I think settlement is
23 definitely an important aspect of how we do it. The reason
24 for doing it is to make efficient use of the assets and I do
25 agree with Audrey on that -- that we want to utilize all the

1 assets.

2 But we've got to have a settlement and while in
3 my mind the way this works is that the -- the distribution
4 company and the aggregator have a settlement that's separate
5 and the aggregator pays the customer and we deal with the
6 customer with regard to the services that we provide on our
7 bill because for us to provide -- to have services that
8 someone else provides in our settlement with the customer I
9 see as problematic.

10 And I know it's potentially more complex than
11 just having a credit go back to the end use customer through
12 us for potentially for services that the aggregator
13 provides. But that puts another burden on us and then the
14 other thing is that when there are issues with the -- even
15 if we do it the way I propose when there are issues we're
16 likely to get the call because they see us as the energy
17 provider.

18 But if we at least do it that way, then I can --
19 our member services folks can say here's that -- and we know
20 who the aggregators are, we can say who's your aggregator,
21 here's their number you need to call them and talk to them
22 about your settlement that you're not happy with. I hope
23 that was responsive to the question.

24 COMMISSIONER CHATTERJEE: It's helpful, thank
25 you.

1 MR. KATHAN: Well thank you very much. This has
2 been a great panel and I appreciate your time and we'll
3 break for about 10-12 minutes and we will end the Conference
4 with Panel 7.

5 (Break 3:05 p.m. - 3:19 p.m.)

6 MR. KATHAN: Alright so welcome back. We have
7 finally reached the last panel and we've left the best for
8 last. So we're going to be looking into what we talked
9 about operational -- we talked about coordination issues in
10 the past panel.

11 We're now going to go even to the issue of what
12 happens -- what really is in the day, operating day or real
13 time, how will DER aggregation work and how will the
14 coordination happen. So we have a number of questions to
15 try to dig into those questions, but before I go there I'd
16 like to just remind everyone that we intend to focus this
17 Conference on the technical and operational issues
18 described in the notice.

19 We will not discuss other related matters
20 including those at issue in any proceedings. And I also
21 would like to recognize Commissioner LeFleur is joining us
22 for this panel, thank you.

23 So why don't, in the interest of time, we just
24 move on to the first question on the notice which is what
25 real time data acquisition and communication technologies

1 are currently in use to provide bulk power system operators
2 the visibility in the distribution system?

3 And if you could also, as part of that, also do
4 they provide adequate information to assess distribution
5 systems in real time? So let's start with Gerald Gray from
6 EPRI.

7 MR. GRAY: Thanks, glad to be here, Gerald Gray,
8 Electric Power Research Institute, a non-profit organization
9 organized for the public benefit. I -- after hearing my
10 colleague, Dr. Taft, earlier answer the last question of the
11 prior panel I sort of felt like my work here was done, but
12 I'm going to labor on nonetheless.

13 I had thought this was an interesting question
14 because in a certain regard we have transmission's data, we
15 have distribution's data -- we can already pull that data in
16 though often I know that there are utilities out there for
17 example, distribution utilities, that don't have SKATA at
18 all of their substations still.

19 But many utilities have put in AMI systems so
20 there is a lot of granular visibility into what's happening
21 in the distribution network and there's certainly those data
22 acquisition capabilities and there's an ability to get that
23 data around through other systems.

24 But -- so I think these capabilities are sort of
25 well understood so I wanted to focus less on that and more

1 on what we term distributed energy management systems. So
2 they're aimed at addressing this need around data
3 acquisition and communications capabilities to provide
4 system operators with better visibility into the grid.

5 But first, as EPRI defines it, DERM's has four
6 characteristics that -- it has an aggregation characteristic
7 where it takes the services of many DER and presents them as
8 a smaller, more manageable number of aggregated virtual
9 resources.

10 And aggregation at various levels can occur for
11 example in representing individual distribution district or
12 a whole distribution system. The DERM's have to simplify
13 the granular details of DER settings and present simple grid
14 related services. Operators don't need or want to know the
15 details of how to manage individual DER what the settings
16 need to be passed.

17 They want to ask for capability for example --
18 say dispatch and have the DERM's handle that function on
19 their behalf.

20 The DERM's have to optimize these DER within
21 various groups to set the desired outcomes at minimal cost
22 and maximum power quality. The DERMS has to pull in status
23 and vet information from the individual DER and reliably
24 forecast the capabilities that can be called upon.

25 And if managing a diverse set of DER, they should

1 know how to best leverage the individual DER to get the
2 specified outcome. This may involve equally spreading a
3 request across an individual DER group or having an
4 algorithm that determines how to best serve a request.

5 In translate -- an individual DER may speak
6 different languages depending on their type and scale and
7 the DERM's needs to handle these diverse protocols and
8 present them to the upstream calling entity in a cohesive
9 way.

10 So there are several field protocols that I think
11 that we're aware of such as D&B3, 61 850, IEEE 20 50.5,
12 Sunspec nodbus -- all of these need to be translated at the
13 DERM's -- the DERM's can then use for example an ISC
14 standard's based messaging for example, 61968-5 provides
15 this enterprise communication that can go from the DERM's to
16 a DMS or an EMS.

17 This one caveat is that control will need to be
18 executed at many levels on the grid. This will require
19 DERM's functionality to be distributed. We refer to it as a
20 federated architecture approach.

21 And I think this echoes what Dr. Taft was
22 referring to in the earlier panel about this coordination
23 framework. We know that this -- he talked about the all
24 central -- the Grand Central Station, or this flat --
25 everything has appeared to everything else. This goes back

1 to the old battle that we used to hear from utilities.

2 And we think it should all be centralized and
3 hear other stakeholders say we think it should all be
4 decentralized and so on that question we get asked -- should
5 it be centralized or decentralized? We say empathically
6 yes.

7 And that's because there needs to be the
8 coordination at these other levels as we walk through the
9 other questions you're going to hear this federated
10 architecture theme come up again and again at -- that there
11 needs to be the ability to aggregate at different levels and
12 communication coordination amongst these different levels,
13 thank you.

14 MR. KATHAN: Thank you, I'm going to work down
15 the panel this way and then come back to the people on the
16 left, so Ali Ipakchi from OATI.

17 MR. IPAKCHI: Yeah, first of all thank you very
18 much for giving me an opportunity to be on this panel. I
19 want to follow-up with Gerald's comments. Certainly
20 distribution SKATA has been used in distribution systems,
21 however, it only typically goes down to probably the
22 high-voltage circuits 12 KV, usually does not go down to
23 where the DER's are at the end of the circuits at the end of
24 the secondary distribution at the customer level.

25 So to provide grid services since we are talking

1 about real time operations, offering services in real time
2 often telemetry is needed. Often real time monitoring is
3 needed. The point I want to make is that traditional
4 telemetry that's used for SKATA systems using RTU's --
5 sorry, they really developed 20 years or 25 years ago in the
6 industry, they may not be cost effective for DER's.

7 And also security and information privacy
8 protection issues that have become very important in our
9 industry may not be fully covered. That said, over the past
10 5 to 10 years, the information technology , communication
11 technology, connectivity, cyber security has significantly
12 advanced.

13 So looking at bringing real time data from
14 distributed resources in a cost-effective, secure, well
15 protected fashion in real time there are a lot of
16 technologies now available which may not be the ones used,
17 you know, in the transmission SKATA or traditional models.

18 So as we move forward with DER's I think some
19 attention to -- first of all cost effectiveness, that's
20 extremely important, but cyber security and information,
21 privacy protection is also extremely important. However,
22 the new technologies provide for all of those and I think
23 there may be a need for as we look forward to 2020 and
24 beyond, also embrace some of the newer technologies that
25 have emerged and utilize those rather than looking at

1 traditional models, thank you.

2 MR. KATHAN: Thank you, Lorenzo Kristov,
3 Independent Consultant, formerly of the California ISO.

4 MR. KRISTOV: Thank you very much for inviting me
5 to participate in this panel. It's really a pleasure to be
6 here. It's an important event. I just want to start out
7 with a couple of comments in response to your questions
8 because really when I started at CAISO working with our
9 distribution companies which Mark Esguerra talked about on
10 the last panel.

11 We were talking about coordination between TND
12 for high DER and we started pretty much from a clean slate.
13 So there aren't really data acquisition and communication
14 technologies that the bulk system -- at least in California,
15 actually accesses and uses.

16 And similarly, there are not protocols for real
17 time coordination between transmission and distribution --
18 it was never needed before. So we realized we were at the
19 point of having to invent something new and that as we look
20 across other states and other utilities that the starting
21 point is very different for all of them in terms of what
22 capabilities they have, what visibility they have into their
23 own systems as well as what different state policy goals and
24 objectives there may be.

25 So we set out to try and define what those basics

1 might look like. And one observation that I think is
2 important is that for the distribution utilities, they're
3 going to need to do this grid modernization irrespective of
4 DER participation in wholesale markets.

5 The fact that technologies are getting cheaper,
6 ever more powerful, customers are adopting them is leading,
7 I think, over the next several years to more and more a
8 market for electric services being a behind the meter market
9 and the grid playing more of a residual role which means the
10 operational challenges for distribution companies are going
11 to be novel, very interesting and demanding in terms of
12 upgrading.

13 So I see that really as an objective that's going
14 to play out pretty universally but at different rates
15 because different states will experience different degrees
16 of adoption, thank you.

17 MR. KATHAN: Thank you, Brandon Middaugh from
18 Microsoft.

19 MS. MIDDAGH: Thank you. Thank you for
20 convening this session. Microsoft in this instance is both
21 our technology solutions provider with our global platform
22 offerings as well as an owner/operator of DER's at our data
23 centers worldwide.

24 Like many of you here, we're seeing the rapid
25 evolution of the power system caused by declining prices,

1 technologic innovation and this is imposing new demands on
2 the grid that require digitization and scalability.

3 We agree that currently there is very limited
4 visibility of DER's to the RTO and ISO's. These are limited
5 by telemetry, limitations on static data requirements as
6 well as lack of deployment of real time communications.

7 As a result currently at the distribution level,
8 a lot of capital expenditure as well as labor costs go into
9 managing grid planning architecture in an on-site in-house
10 -- in an in-house environment that's limited in terms of its
11 scalability.

12 Our focus at Microsoft is on creating the
13 enabling technologies to support the transformation. These
14 technologies include the internet of things or IOT, machine
15 learning, predictive analytics and cloud and edge computing
16 that have emerged in recent years.

17 These new technologies will allow us to move the
18 power system to the type of scalability that can accommodate
19 the thousands and even millions of devices coming on to the
20 grid for a more flexible and responsive system.

21 To get there requires not just the technical
22 capabilities but also physical integration and market
23 incentives to drive private capital investment in enabling
24 dispatchable grid services.

25 I look forward to talking in a bit more detail

1 about our experiences in piloting some of these technologies
2 as we get into the rest of the questions, thank you.

3 MR. KATHAN: Thank you, Martin Ryan from NRG
4 Energy?

5 MR. RYAN: Hello my name is Martin Ryan, I'm from
6 NRG Energy and I want to thank you for allowing me to
7 participate on this panel. NRG Energy feels this
8 distributed energy resource is very important. We currently
9 participate very heavily in this space and we look forward
10 to expanding that participation in the future.

11 I agree with the gentlemen from OATI that what we
12 really need to do is to communicate with these individual
13 devices as cheaply as we possibly can. Currently what we do
14 is not the similar way that you would communicate to a big
15 large power plant.

16 We employ technologies that are much cheaper that
17 go out to the individual pieces that go into our distributed
18 energy management system and then we pass it to the
19 wholesale system which allows us to communicate directly to
20 the ISO's where we need to.

21 We're currently doing that right now in
22 California, we do that in New England ISO, we do it in MISO
23 and we could do it in any ISO that's out there -- ICCP to
24 the ones that communicate via ICCP or with data
25 concentrators or RTUs for the ISOs that communicate in that

1 fashion.

2 MR. KATHAN: Joseph Ciabattone from PJM?

3 MR. CHIABATTONI: Thank you, thanks for having
4 me. Just -- you folks made a lot of good comments. PJM
5 also uses a lot of the traditional technologies, RTUs,
6 SKATA, ICCP communications -- but we also have explored
7 newer technologies -- mostly from merchant plants that are
8 more -- to make it more efficient and less costly for them
9 to be able to communicate their data to PJM.

10 So I think there's some good points made in that
11 area. We continue to explore these newer technologies as
12 well. Currently today I think we can manage with low
13 penetration of DER resources. We could manage using our
14 current technology I think with higher penetration though we
15 get into a situation where we would have to explore other --
16 either old medi in our current technology or explore other
17 technologies that would allow us to manage a larger
18 portfolio of DER resources.

19 MR. KATHAN: And Matthew Glasser from
20 Consolidated Edison?

21 MR. GLASSER: Yes, so thank you for having me.
22 Matt Glasser from Con Edison, also representing the Joint
23 Utilities of New York State, that's 6 investor-owned
24 utilities representing about 13 million customers.

25 So I'm from the utility's perspective -- from

1 Con-Ed's perspective in this case the communication and the
2 visibility is not there for a bulk power system. They
3 cannot see what's happening on the distribution system. So
4 I think you heard a lot of different examples of the
5 technology that, you know, could and should be there. It's
6 not there today. And my overall message and we'll talk a
7 little bit more about it later, but the overall message is
8 we think it is critical as a joint utility in the New York
9 State that if you are going to have DER aggregation at any
10 level, and if you have DER on the system at any level, it
11 needs to include the electric utility as part of that
12 process -- the communication.

13 That process has to be with all parties, so thank
14 you very much.

15 MR. KATHAN: Thank you, I guess we'll move on to
16 the next question then which is a question on what processes
17 and protocols do the distribution utilities transmission
18 operators, DER's or DER aggregators use to coordinate with
19 each other now and potentially what new processes would need
20 to be developed in the future -- Matthew?

21 MR. GLASSER: Thank you. So I talked a little
22 bit about the partnership and having to have electric
23 utility as a part of the process. So currently we are
24 starting to look at DER aggregation and the New York ISO is
25 working on a pilot that will be starting along later this

1 year to have DER aggregation testing it out trying to see
2 how it would work.

3 Before going into that, although there wasn't --
4 you didn't have aggregation in the past, we drafted up
5 procedures -- communication procedures and we drafted up
6 like a registration and -- and agreement. The important
7 part of that is that it establishes a baseline -- it
8 establishes a baseline on how the communication will work.

9 Communication today with DER is low tech -- its
10 phone and it's emails. Communication in our procedure will
11 also be phone and emails but it's a base to start to build
12 off of and to get us to the point where people know their
13 roles and responsibilities and I think that's the key point
14 that was something that was talked about earlier.

15 And on the registration side, the process we went
16 through with stakeholder feedback is that again the utility,
17 the transmission operator, the ISO and the DER aggregator
18 have to be partnered together on a system, all understanding
19 what their roles will be, all understanding what is going to
20 be on the system and when and that's laid out with the
21 information we collect from the registration.

22 So I think it's really important that everyone's
23 working together on this and these are baselines -- these
24 are starts. A pilot is just a way for us to see how it will
25 work at this low penetration point and we expect to learn

1 from it and build on that process for the future.

2 MR. KATHAN: Joe?

3 MR. CIABATTONI: Sure. So I echo some of what
4 Matthew just said is that currently we're primarily using
5 phone communication so it's a sort of top down approach
6 where we're -- the RTO is talking to the transmission
7 operator and the transmission operator is talking to the
8 DER. Obviously for an RTO to better optimize energy and
9 regulation resource we would need additional protocols and
10 also the ability for the resources themselves to be able to
11 follow base points and economic base points to optimize them
12 electronically to kind of cut out some of that phone
13 conversation and do these things a little more streamlined
14 to the electronic signals.

15 MR. KATHAN: And Gerald?

16 MR. GRAY: Gerald Gray, EPRI. It's really
17 interesting to hear the use of phone systems still and I'm
18 originally from Michigan and we always used to say that the
19 most effective demand response system was when we called up
20 the GM Plating facility and told them to "knock it off."

21 So when we talk about DER aggregators and the
22 aspect of this question it's the newest component and
23 probably the least developed. Many companies presently
24 managing large groups of DER are doing so for many
25 non-utility purposes. For example they might be providing

1 customer portals -- they may not be required to exchange
2 information with the distribution or transmission utilities
3 at all.

4 In our research work and methods for monitoring
5 and control functions and protocols to address this
6 interface, being addressed in IEC 61968-5 and this includes
7 monitoring of aggregate -- what we term DER groups, reel and
8 racked of power as well as dispatch and limiting of a number
9 of parameters including real and reactive power and ramp
10 rates for examples.

11 But I think it's -- when you talk about real time
12 and those changes, the monitoring and control standards that
13 are defined in these interfaces could theoretically operate
14 at any speed right?

15 Operation in real time's whether that's seconds
16 or minutes is not a question of the protocol necessarily but
17 of the performance of the downstream communication systems
18 used to reach the DER devices and/or meters that they're
19 attached to.

20 A DERM's communication system would have to read
21 the power output of every DER on the distribution circuit to
22 produce a near aggregate reading for example. But if you
23 have fiber to that smart inverter it's going to go at the
24 speed of the fiber. If you have an RF mesh network that
25 you're piggybacking from your AMI system, it's going to go

1 at the speed of that and you're at PLC speed, why that's PLC
2 speed but that's not a limitation of the protocol, it's a
3 limitation of the communications in the structure.

4 MR. KATHAN: Ali?

5 MR. IPAKCHI: Yeah I want to make my comment --
6 address this for a particular segment of the industry. The
7 co-ops and the generation of transmission GNT's. Many
8 co-ops opt to be members of a GNT which typically manages 20
9 or larger number of co-ops.

10 And they basically provide services for the
11 members in terms of a load management demand response or DER
12 management for the benefit of their membership. The systems
13 they use typically involve a centralized system at the GNT
14 level which brings information for all the co-ops
15 participating resources, parameters associated with those
16 various programs or tariffs each member company has within
17 their service territory.

18 And then the GNT basically aggregates those and
19 dispatches those based on the rules and the agreements they
20 have contracts they have with their members. This is
21 somewhat similar to what Dr. Taft mentioned at the GNT level
22 -- at the co-op level.

23 In other words, member companies each may have
24 limited number of resources, limited number of staff, you
25 know, more difficulty reaching out to the bulk power market

1 or address transmission related issues, generation dispatch
2 or things of that nature.

3 GNT serves that purpose for them. The provide
4 the data to the GNT, GNT basically has dispatch access where
5 they're directly dispatching the resources of the member
6 companies or sending aggregated dispatch to the member
7 company for it to relay it to its customers.

8 There are different models but that model of
9 coordinating distributed resources at that level currently
10 exists and has been fairly successful, thank you.

11 MR. KATHAN: Lorenzo?

12 MR. KRISTOV: I think it's useful to just talk a
13 little bit about the perspectives or objectives of the three
14 key parties we're talking about to understand what we need
15 for effective coordination. We addressed this in the
16 working groups we had in California -- the key players being
17 the ISO, the distribution company and the DER provider and
18 aggregator.

19 From the ISO's perspective if we have DER in the
20 wholesale market what the ISO cares about is that when we
21 issue a dispatch instruction we're going a predictable
22 response with some confidence that we will see at the
23 transmission distribution interface.

24 We're not really concerned about what individual
25 DER may do at any moment because the ISO's responsibilities

1 and its visibility is up to that interface -- so
2 predictability and certainty about the ability of a resource
3 to respond.

4 From the distribution utility's point of view,
5 they've got to be concerned as we've heard several times
6 with the reliable operation of their system. They've got
7 the additional responsibility if they accept DER
8 participation in wholesale market and they're facilitating
9 that.

10 They've got to help make that work by essentially
11 managing their system in a way that also supports DER
12 participation and yet I think regulatorily they're all under
13 a prime directive of serving load.

14 So that in a sense comes first in the way the
15 regulatory construct is at present. From the DER provider
16 perspective, they're looking for revenue opportunities about
17 which they have some predictability themselves. And one
18 aspect of the predictability of those revenues is how often
19 might they be curtailed due to abnormal configurations on
20 distribution?

21 We've also heard a few times that abnormal
22 configuration circuit switching is much more volatile on
23 distribution than it is on transmission. Right now there
24 isn't really good information to give to potential DER
25 providers about the frequency of particular circuits being

1 taken out of service or being reconfigured, whereby it might
2 be able to come up with statistical estimates of how often
3 am I more likely to be curtailed?

4 There aren't procedures yet in place, there isn't
5 a regulatory framework that says if there are multiple DER
6 providers that depend on the same capacity -- what would be
7 the distribution company's rules for how to allocate that
8 capacity reduction among competing providers?

9 There's no open access kind of framework that's
10 analogous to what we have on transmission. So I think as we
11 think about what's needed to make all of this work -- those
12 three perspectives are really equally important. They all
13 have to be satisfied and then I'd go the next step and say
14 the way that you work out the solution to those can vary a
15 great deal depending on what is the model of the
16 distribution utility, how they're thinking about their
17 future, how they're thinking about their roles and
18 responsibilities.

19 And this was a thought that I immediately leapt
20 to yesterday when Commissioner LeFleur asked the question
21 about why shouldn't we come up with the solution to solve
22 the coordination problem here -- to figure out the best
23 answer to it and then just propagate it?

24 And I think it's because -- at least one reason
25 is because that question goes to the heart of the future

1 utility business model. The distribution utilities are
2 thinking about what do I want to be in this high DER world?
3 I'm seeing revenues erode from the traditional per kilowatt
4 hour ratemaking as people put on rooftop solar and they're
5 buying fewer kilowatt hours.

6 And I think, you know, this is a discussion
7 that's happening everywhere -- not even just in the United
8 States, but all around the world is what will this -- how
9 will this modernization play out. So I think , you know,
10 it's those three perspectives have to be part of a wholesale
11 participation model for DER and it will probably depend
12 greatly on how the utility -- each individual utility views
13 its evolution into the future, thank you.

14 MR. KATHAN: Brandon?

15 MS. MIDDAUGH: Thank you. So as we think about
16 how to achieve those objectives, it helps me to frame it in
17 terms of how do we get the data from our sensors, from our
18 telemetry that's out in the field to the decision-makers and
19 to the operators who need to rely on that real time data.

20 Because we are an owner-operator in the system
21 today we have experienced both where communications stand
22 today, the phone calls, essentially batch analysis and
23 dispatch signals as well as in our pilots where we see where
24 the industry needs to go in order to achieve the objectives
25 that my co-panelists just highlighted.

1 For us, the way to get that data to the
2 decision-making in a dynamic and iterative way -- on the
3 last panel we heard a lot about the need for dynamic
4 modeling and sophisticated tools -- for us it's too enable
5 the devices that are out in the field to bring the data back
6 using IP protocols that are very scalable and flexible and
7 to have the type of interoperability, cross communications
8 among different protocols so that it's not a barrier to
9 communication based on what protocol and individual device
10 it's on.

11 We've had some success in exploring exactly that
12 model in a pilot in a European setting in Norway with a
13 distribution utility called Okra Energy where we used IP
14 enabled devices and real time computing to develop dispatch
15 optimization algorithms so that the utility had the type of
16 visibility to the DER's, the EV's on the system, residential
17 PV, storage, you name it and had the ability to aggregate
18 and process that -- develop insights quickly enough that
19 they can act.

20 And so I think the point about timing is a very
21 important one. What are we talking about when we say real
22 time? The tools have evolved. They've evolved from batch
23 analysis that, you know, needed to be hauled back to a
24 central location, analyzed and then sent out on dispatch
25 signals to the type of real time cloud computing as well as

1 edge computing at the devices all the out at the edge of the
2 grid that can enable not minutes response, but seconds and
3 even fractions of a second.

4 And so I think we're seeing success in that and
5 we believe that that's the type of obstacle that can be
6 overcome and where we think it's worth putting a lot of
7 attention is how do we get that to inform meaningful
8 decisions that will affect, you know, the efficient
9 operation of the markets, thank you.

10 MR. KATHAN: Doug Parker from Southern California
11 Edison?

12 MR. PARKER: Thank you for -- I'll turn on the
13 mic so my loud voice will carry even further. I guess I'm
14 on the wrong panel because I didn't read this as a
15 technology question. I read this as a business rules
16 question.

17 I think Doctor Taft stole all of our thunder
18 today. I think if you take away anything from the last few
19 days, take away what he said because he really said it the
20 best, I think. We're trying to solve a problem without
21 defining the problem.

22 We talked about what is appropriate and adequate
23 coordination, protocols, processes, communication, data
24 exchange -- all of that stuff. You have to start with well
25 what is the problem we're trying to solve?

1 And I think today it started to surface several
2 times that we don't have operating frameworks between
3 transmission operators and distribution system operators --
4 they don't happen. Maybe in the vertically integrated world
5 -- I've been in the vertically integrated world for 20
6 years. ISO, just turned 20 years old last month --
7 everybody give a round of applause for ISO 20 years old.

8 Vertically disintegrated -- I'm not going to say
9 that three times. The -- so we have to start with what's
10 the problem we want to solve? And we have to start by
11 asking what is that operating framework between -- I'm going
12 to use the term DSL -- I think that's a loaded term but I'm
13 going to use it anyway because that's what it says on my
14 business card.

15 DSL and a TSO -- what is that operating
16 framework? How do you define the systems and more
17 importantly, how do we decide -- define the boundary
18 conditions between the systems and how are we going to
19 manage those boundary conditions?

20 If you can't answer that question than you can't
21 talk about communication, data exchange technologies in an
22 intelligent way. You can come up with answers and you can
23 do stuff, but it won't be efficient, it won't be complete,
24 it won't be consistent.

25 So we have to understand what these two entities

1 -- the aggregators and stuff I'll get to it in a minute but
2 in terms of system operation, in terms of ensuring joint
3 system reliability -- these are the two players -- the
4 distribution operator and the transmission operator,
5 collectively that makes the system.

6 All these other pieces -- generators,
7 aggregators, load-serving entities, those are all parts of
8 it but those two are the ones in charge of making sure it
9 all works and hangs together. We have to understand how
10 those two entities are going to split up the system and
11 agree to coordinate -- agree to operate with each other.

12 From that operating framework, you can get -- you
13 have to talk about roles, responsibilities and rules. You
14 need to know the framework before you can talk about roles,
15 responsibility and rules. And that's where you start
16 talking about who's in charge of what, who's going to do
17 what, when do things happen, how do things happen.

18 That is -- that's very important. There is when
19 you also start talking about jurisdictional coordination
20 comes into play. We do have two jurisdictions -- two
21 regulatory jurisdictions that overlay this complete system.
22 You've got the federal part on the transmission and we've
23 got the state part on the distribution so there are rules,
24 and responsibilities that have to cross jurisdiction
25 boundaries as well -- that's going to make it more

1 complicated.

2 From that coordination can now be discussed. How
3 are we going to go in? Now what we know what people are
4 supposed to do, who's in charge of what -- now we know how
5 to coordinate. Now we know how to say, "Okay, I'm going to
6 do this." We can start talking about decision hierarchy.

7 In the future world so far you've heard today a
8 few times, there hasn't been a real pressing need for heavy
9 coordination and heavy structure around coordination between
10 transmission and distribution because quite frankly the
11 systems don't bump into each other all that much. And when
12 they do they pick up the flow.

13 And that's not an indictment on our inability to
14 deploy technology, but it's really just a statement --
15 that's been the adequate and easiest solution until now.
16 That's not going to be the case five years from now or ten
17 years from now. Five years from now is next week, ten years
18 from now is next month in regulatory space, we all know
19 that.

20 So we have to start talking about this now. From
21 those three you can now start talking about what kind of
22 data do you need to share and what kind of data is
23 important? Balancing authorities across the WEC don't know
24 very much in real time. I'm talking about day-to-day real
25 time operations. They don't know a whole heck of a lot

1 about each other.

2 They don't sit there on the phone every morning
3 and say, "Okay, what unit should I run and how much load do
4 you have and my, what lines are you doing -- adding these
5 on?" For the most part they have a very tightly defined
6 boundary condition operating model and they have -- they
7 know that that model ensures that if everybody plays their
8 part, roles and responsibilities, it all works.

9 They don't need to know a lot about each other in
10 order to make that work. So you have to understand battery
11 conditions before you could say, "Well what data do I need
12 to know about the other guy's system, and what does he need
13 to know about my system and how often does he need to know
14 that and how accurate, how granular?"

15 All those details flow from that. How we are
16 managing this -- how we are splitting up the supply and
17 managing it, who's in charge of what, how do we coordinate,
18 now what do I need to know?

19 And then finally overlaying on all of that is
20 markets. Markets are an enabling mechanism. It's the
21 mechanisms we want to use to reach out and capture all the
22 value of unused capacity that's been installed in the system
23 and there's a ton of unused capacity that's installed in the
24 system.

25 So we want to capture that. And that's what your

1 Conference the last two days has been about is here's
2 another opportunity, there's a presumption of uncaptured
3 value out there. How do we capture that? How do we capture
4 that in this case in the wholesale market -- good question?

5 And I'm not suggesting that anything you've heard
6 from me or in the last two days to say okay, stop the
7 presses, let's go back to the drawing board and let's start
8 with problem definition. You can make progress but I think
9 my caution is many years ago we addressed this same problem
10 with demand response integration into the markets. Now
11 we're doing it with DER's. Now we're going to do it with
12 batteries. And then we're going to start talking about
13 other, whatever's next. I don't know what's next after
14 batteries, who knows.

15 Okay, electric vehicles, micro grids, water
16 heaters -- I don't know what's next, but they're all going
17 to be -- at some point in the next five to ten year
18 timeframe we're going to have to stitch all of this
19 together. It's not a question of if we decide to establish
20 this operating framework, it's a question of it's going to
21 happen and there are choices, do we do it kind of from a
22 let's design the house before we build the house
23 perspective?

24 At least let's design the house as we're building
25 the house but let's not draw up the plans after the house is

1 built and now starting to fall apart.

2 And that's what I think we're at risk for if we
3 don't keep in mind where this all goes in the future -- just
4 my interest in all of this is that there's going to come a
5 time and I think it hits California very soon -- maybe other
6 parts of the country less soon, but soon enough -- that
7 critical mass of DER's where at times during the year maybe
8 half the load, maybe two-thirds of the load on our system --
9 on the Cal ISO system is being served by generators located
10 on the distribution system.

11 The time is not very far off in the future so
12 you've got these two entities have parody in terms of their
13 responsibility in terms of the gravity of their decisions.
14 It's not big transmission, little distribution anymore in
15 terms of the impact on overall system reliability. They're
16 a parody now very soon, so we have to get this operating
17 framework established these roles, responsibilities,
18 coordination, data exchange and then we can talk about
19 overlaying markets.

20 That's the only reason I came here today so I've
21 made all of my speech all in one time.

22 MR. KATHAN: Thank you, Martin?

23 MR. RYAN: Martin Ryan, NRG Energy. I think this
24 is an exciting part of this piece. I've heard a common
25 thread amongst all these panels that individual distribution

1 providers can't see into their systems as much as they can
2 -- as much as they'd like to.

3 A few of them really have some complicated and
4 sophisticated SKATA systems to give them that data. We feel
5 like we can go out to the customer with a cost-effective
6 solution, pull the data that we need from the individual
7 customers from all of these resources, pulled into our
8 distributive energy resource system, pass it to the
9 wholesale system, back to the RTO and then the distribution
10 companies and get all that data right from the RTO for free
11 without having to go and connect to thousands upon thousands
12 of assets out in their system and immediately improve the
13 visibility into their own system.

14 I think the technology's out there and it exists
15 and we can provide that. You do that in a way that
16 minimizes the cost of the individual customer and tries to
17 help keep the barriers low as possible to get these
18 customers to come in and participate in these programs.

19 MR. KATHAN: Alright thank you. I'm going to
20 move to the next question which is about more focus on RTOs
21 and ISOs. So what are the minimum set of specific RTO/ISO
22 operational protocols, performance standards and market
23 rules that should be adopted now to ensure operational
24 control for DER aggregation participating in RTO/ISO
25 markets?

1 MR. KRISTOV: Well there's a few things I could
2 mention that I'm thinking about as just examples of what
3 would facilitate the kind of -- a few things I'd mention as
4 examples of what would facilitate the kind of coordination
5 I'm talking about. So if I go back to the objective that I
6 stated for the ISO. The ISO issues a dispatch instruction
7 to a DER.

8 The DER responds. The ISO wants to know with
9 some confidence that it's going to get back the amount of
10 energy that it dispatched. Well, in the meantime or in some
11 very short time period something can happen on distribution
12 that now diminishes the ability of that DER to use all its
13 capacity.

14 Who knows about that? Well the distribution
15 company knows about that because they're the ones managing
16 the system and they see when they switch circuits or have a
17 problem. So one step could say, "Okay, if something happens
18 on distribution and it happens on a circuit that effects
19 this DER, the distribution company better let the DER
20 provider know about that right away." Should the
21 distribution company let the ISO know as well? Well we
22 talked about that in our working group and said well, maybe
23 it's better to put the responsibility on the DER provider
24 because when we have generators in the market typically they
25 have to report outages or D-rates in their capacity.

1 In the ISO market if there is a D-rate of a
2 transmission line and that gets built into the network model
3 right away and through the five minute dispatch it will be
4 taken account of but you don't have that analogue.

5 So this notion of short-term immediate changes in
6 conditions it reduces the capacity of the resource to be
7 able to provide energy so when it's submitting bids in the
8 future, it needs to take that in account or if it's got to
9 respond 5, 10, 15 minutes from now, it submits a notice to
10 the ISO.

11 These are kinds of things that we talk about
12 that, you know, initially would be probably some sort of a
13 manual communication and it might initially be very crude.
14 In other words, if you're on the circuit and the circuit's
15 abnormal, you're zero.

16 If you are an aggregated resource and all of your
17 sub-resources are on this particular circuit and the circuit
18 is abnormal, you're zero. If you're aggregated over
19 multiple circuits and this one circuit is out, well then
20 you've got the other two circuits so it's a partial D-rate.

21 But this is a crude first step at this kind of a
22 coordination that works as long as we're thinking about
23 relatively small numbers. Can it be automated? Well we
24 haven't gotten that far because we sort of stopped in our
25 working group effort when we realized that we needed more

1 DER providers to come forward and actually make use of the
2 ISO's DERP market structure in order to bring real life
3 cases that we could test.

4 But I think the point of this is to go back to
5 some of the functions that need to take place and I think
6 Doug characterized this really well that the answer to all
7 of these things are done is going to depend on how the
8 utility sees it's pathway into the future but there are
9 standard functions that one can identify that need to be
10 done as part of operating with a high DER system, operating
11 with large numbers of DER's that want to participate in the
12 wholesale market.

13 And it would be a good -- a very good use I think
14 to be able to lay out what those functional requirements are
15 and then think about where they naturally fall in ISO
16 responsibilities, distributions company responsibilities,
17 market participant responsibilities, thank you./

18 MR. KATHAN: Ali?

19 MR. IPAKCHI: I'm going to kind of answer this in
20 a little bit of a broader fashion. You know following FERC
21 Order 888 more than 20 years ago to allow transmission open
22 access, to allow small independent power producers and
23 market participants to come in and improve the economics of
24 the supply and demand.

25 A number of processes, procedures, methods were

1 established also let to creation of a structured market.
2 And over the past 20 some odd years, a lot of lessons have
3 been learned. Now what we are seeing happening on
4 distribution side with the aggregators, the DER's, behind
5 the meters assets, a number of things are emerging.

6 Certainly distribution is different than
7 transmission and we are in a, you know, in a 21st Century
8 and technology has moved et cetera. But some of the
9 principles, some of the processes, some of the issues remain
10 the same and the methods and things that were established
11 for supporting the open access market-based operation on the
12 bulk hour.

13 The number of lessons learned there that are to
14 some extent conceptually applicable. For example,
15 transmission reservation, capacity reservation, so am I
16 investing in battery storage, significant investment and I
17 want to sell that to the market. Do I have the capability
18 to reserve capacity on the distribution system to be able
19 for next summer and several years to be able to utilize that
20 asset?

21 What's the process there? Similar to the
22 transmission Oasis was created for transmission reservation.
23 So when any independent producer built the power plant,
24 could guarantee that they have access for transmission for
25 exporting that generation.

1 Then there was reliability issues as these
2 independent producers came about you got stuck having loop
3 flows and you start having, you know, overloads on the
4 system. So electronic tagging system came about to
5 coordinate scheduling of resources with transmission
6 operators and all the stakeholders that those schedules
7 would impact -- a number of years it took to put processes
8 and procedures and rules and responsibilities to be
9 well-defined and accepted by the entire industry, who
10 submits this schedule, who can approve it, who can deny it,
11 who can adjust it, what timing for adjustment.

12 And then procedures for transmission load and
13 relief, TLR's and curtailment and whatnot got established.
14 So -- and the framework established that right now the
15 marketplace at the bulk power is working very well.

16 So building upon all the discussion and then of
17 course you have the ISO's which could be under the DSO's
18 that they take certain role to do some of these functions
19 but not all the regions covered by structured market and
20 you're allowing, you know, a model, areas that are not under
21 a structured market can operate.

22 So there are a lot of lessons learned from that
23 process. I'm not suggesting we use the same technology, same
24 capabilities that developed 20 years ago. Technology has
25 advanced. Things work at the speed of light. Things are

1 inexpensive, capability is available. However, some of the
2 processes, some of the roles and responsibilities -- the
3 processes and the roles and responsibilities to define why
4 the stakeholders and that whole process -- there are some
5 good lessons learned there that can be applied as we move
6 forward and address this whole expansion of DER's and the
7 changes -- paradigm change in the power system operations.

8 MR. KATHAN: Joe?

9 MR. CIABATTONI: Sure, I just had one issue that
10 I think that we're working with DER in our stakeholder
11 process today but it's the jurisdictional issues that were
12 brought up by others as well.

13 You know, does DER have rights to deliver
14 wholesale energy across the distribution system is kind of
15 one thing that we would like to kind of nail down? I think
16 once we kind of, you know, who would handle disputes, who
17 resolves those disputes -- is it done at FERC, is it done
18 under some of the interconnection agreement or operating
19 agreement?

20 And then you know, from there we can build
21 markets and you know, the markets may be more geographical
22 based on how various RTOs are set up and that would allow
23 them to organically grow as much as Ali pointed out, over
24 time we sort of learn from our operations and kind of
25 organically build on the system.

1 MR. KATHAN: And Gerald?

2 MR. GRAY: Gerald Gray, EPRI. Yeah, I struggled
3 with this question in a certain regard because we talked
4 about this volatility and the distributions which exist on
5 the system but there is a recognition that next week,
6 according to Doug, Doug's next week, that we need to have
7 this different control at different layers in the grid that
8 will need to occur, this hybrid architecture as Dr. Taft
9 mentioned.

10 We call that the federated architecture with the
11 control has to happen at different levels. When you talk
12 about what additional protocols might be important for the
13 future and if there should be minimum requirements that I
14 kind of hesitated at that because even though I work in the
15 standard space for example, and EPRI does work in lots of
16 different standards areas and some of them are emerging like
17 61998-5 that I alluded to that can allow for some of these
18 enterprise and business to business communications to
19 occur.

20 That would certainly facilitate the future that
21 we see that we're going to need very soon. What I would
22 hesitate to be prescriptive in one regard and so I think
23 that the market -- and I'm not talking about the energy
24 market, I'm talking about the market at large in terms of
25 technology adoption, what gets used.

1 What is sort of going to win is how any given
2 technology protocol or technology has the characteristics to
3 solve the problem that's in front of that person right? And
4 I don't necessarily want to be prescriptive to that.

5 And just one example -- so for like IEEE 1547 it
6 says that the local interface you can use three standards.
7 It doesn't include for example, IEC61850 which is in wide use
8 in Europe and we've heard from some of our European
9 colleagues that they sort of put a stake in the ground and
10 it's 61850 from here forward, you know.

11 So TNP3, My Bus, those aren't part of the
12 equation. You see other emerging frameworks like the open
13 field message bus so I would hesitate to say at a minimum
14 you have to do "X" with this technology that might prohibit
15 new technologies to be tried in this space, thanks.

16 MR. KATHAN: Thank you. I want to now move on to
17 the next question and this is -- it follows on from the
18 discussion we had in the last panel and it's a question
19 during the operating day, during the day head and real time
20 dispatch, should distribution utilities be able to override
21 RTO/ISO decisions regarding that dispatch to resolve local
22 distribution issues and if so, should DER aggregations
23 nevertheless be subject to non-deliverabilities under such
24 circumstances -- Matthew?

25 MR. GLASSER: Thank you. So it was brought up in

1 the previous panel and you know I don't want to think of the
2 distribution system as this mystery that only the
3 distribution utility knows what's happening and it could be
4 switching at any minute.

5 But you know, people can envision a storm impact
6 or loss of a feeder, whether it be a hit car or something
7 like that and you have points where you'd be picking up and
8 restoring customers with tie points. It may not happen but
9 it could be the situation where you have -- there's a
10 distribution resource or a distributed resource there that
11 could help resolve that, that could help pick up load and
12 keep customers in service.

13 This is where it's a coordination, so this is
14 something that the discussion would have to be had with the
15 ISO in saying, you know, here's where we need the resource
16 and the ISO, where do they need it? Obviously the
17 transmission system at the end of the day comes first but if
18 it's something that they could work out, I think that's
19 important and why this is a collaboration.

20 Utilizing the distribution system is a great
21 opportunity for DER and aggregation. It's going to utilize
22 the asset and it's better, it's efficient to be able to use
23 that asset and it encourages people to install DER but you
24 know, it's something that it has to be a coordination.

25 So I think it's a good opportunity to have that

1 discussion. Whether or not that DER should be penalized I
2 think I would say no, I think you'd leave that up to the ISO
3 to make that decision. I don't know that that's the intent
4 of penalizing them if they weren't available because they
5 were being used by the distribution system, thank you.

6 MR. KATHAN: I'm going to go down the line,
7 Gerald next?

8 MR. GRAY: Thank you. Yeah, we think that
9 distribution utilities have to be able to originate to
10 modify or limit DER controls in order to maintain
11 distribution system reliability otherwise infrastructure
12 damage can occur resulting in outages to consumers and a
13 loss of the whole of the distributed resources in an
14 affected area.

15 More granularly, when we talk about this
16 federated architecture in the future if you have a local DER
17 management system or distributed DMS as envisioned by this
18 federated architecture, you should be able to override
19 decisions based on local conditions.

20 We think that operations should follow a guiding
21 principle of the controller closest to an issue should have
22 the capability to respond as expeditiously as possible. I
23 like to say latency matters and in the future if you have --
24 for example, DSO or distribution operator -- they're going
25 to have a broader view of what's going on in the grid.

1 But if you have a local micro-grid controller or
2 a local distributed DMS views its world -- you might send
3 that thing in terms of the day ahead, for example, follow
4 this ramp rate curve because we know what the bigger picture
5 is.

6 But then something happens locally that
7 intelligence that's closest to that situation should have
8 the ability to act as quickly as possible to resolve that
9 and then do event based notification.

10 And then central control can then update based on
11 that new information instead of having the latency between
12 something happening, getting that message all the way back
13 and if you have a low latency or a high latency comes before
14 the central control even gets that information, then they'd
15 have to decide what to do about that information and now
16 send a control signal and the other coordination that needs
17 to occur.

18 The time matters. As to what penalties should
19 occur, EPRI doesn't have an opinion of that as to what
20 penalties should be put in place, thanks.

21 MR. KATHAN: Ali?

22 MR. IPAKCHI: A simple answer to your question is
23 yes. There are a number of real liability issues on
24 distribution as other panelists over the past day and a half
25 have commented. Voltage issues, phasing balance issues,

1 reverse flow issues, overload issues and with a higher
2 penetration of DER's as we expect going forward, those
3 problems are going to be more and more occurring. So the
4 answer to it is yes.

5 However, that said rules for curtailments, rules
6 for schedule adjustments needs to be formalized so the
7 players know under what conditions their schedule, their,
8 you know, ISO offering is going to be curtailed.

9 Again, like the comment I made earlier under
10 transmission side the rules for curtailments are well
11 defined. And so similar things are going to happen on the
12 distribution side but the answer is yes, distribution system
13 operator or distribution operator needs to be able to
14 curtail transactions.

15 MR. KATHAN: Lorenzo?

16 MR. KRISTOV: I flipped it on, okay. I'll say it
17 again, I agree with Ali.

18 MR. IPAKCHI: Even though you can't say that too
19 much.

20 MR. KRISTOV: Yeah I know. I get a bit coin
21 every time I do. Somebody had to say bit coin right? So it
22 goes back to the objectives of the parties and especially a
23 DER provider and that is transparency. I think one of the
24 big concerns that we heard in several of the panels about --
25 about the distribution utility perhaps functioning as a

1 gatekeeper is lack of transparency.

2 And the lack of an open-access framework
3 analogous to what we have on transmission so that any
4 curtailments are indeed the rules are transparent, all the
5 participants feel like they're being treated fairly and
6 there's some predictability as to how frequently these are
7 likely to occur so that the DER who's trying to be a
8 commercially successful operation has some knowledge of how
9 should we build in expectations of being constrained into
10 our business model.

11 So I think that that notion transparency setting
12 up predictable rules and then of course, not being held
13 accountable for things that are beyond their control. So I
14 think I would lean on the side of them not being penalized
15 if there are conditions beyond their control that make it
16 impossible for them to deliver.

17 MR. KATHAN: Brandon?

18 MS. MIDDGAUGH: I want to agree with Matthew's
19 comments on this being the place where coordination in
20 planning and in contingency response becomes really
21 critical. From the -- from the perspective of a DER
22 owner-operator, I think it would be critical not to have
23 these conflicting signals than on their back on the
24 owner-operator of the DER.

25 I think that there are numerous ways to overcome

1 the coordination issue without setting the two up on a
2 collision course in the case of the type of very real issues
3 that could emerge at the distribution level.

4 Rather I think it's important to set out clear
5 parameters up front of the sort that Ali and Lorenzo were
6 mentioning, clear rules around when the wholesale signal
7 would need to be modified or adopted to accommodate for
8 distribution level issues.

9 MR. KATHAN: And Doug?

10 MR. PARKER: I beat you. I didn't get one word,
11 I got two words out before I forgot to flip the switch.
12 Several comments on this -- this topic here, I think there's
13 three relevant points and that is there's -- the answer is
14 yes, the distribution system operator is the one operating
15 the system ultimately.

16 He's responsible for the reliability and security
17 of the system, has to have a role in stepping in and saying
18 no you can't. To that point the more often -- the better
19 the upfront, the aggregation evaluation process, the more --
20 I won't say less often, because I don't think that's the
21 right word but maybe perhaps the more predictable the
22 circumstances under which the real time interruption or you
23 can't fulfill your ISO instruction will be.

24 So we have to keep in balance there. We've heard
25 comments that we don't want to burden some up-draw process

1 and you heard DSO people say, "Well the less process you
2 have here, the more real time consequences you're going to
3 have here."

4 And that's just sort of a statement of fact. I
5 don't think that's really debatable. The second thing is
6 kind of the state of technology now is that on the
7 distribution system we're still at the early phases of
8 starting to modernize our grid.

9 And what does modernize the grid mean? That
10 means when we're switching from a one-way flow to a dynamic
11 two-way flow, we've got a lot more things we need to know
12 about the grid and we just don't have the instrumentation
13 out there yet to see it and even if we can see it we don't
14 have the granularity of control to really segment off the
15 problem spots and isolate those quickly and leave the rest
16 of it unaffected.

17 We're figuring that out now. We're doing that
18 now but it's going to take -- Edison's got 4300 circuits,
19 it's going to take a while to get that kind of capability
20 out there. So you wouldn't want to put rules out there that
21 require a level coordination that cannot be supported by
22 actual operating data.

23 And the third thing that is really I think
24 related, it's maybe slightly off-topic but I think it's -- I
25 think it's relevant is this idea that we're coming from a

1 perspective of an industry that has been -- gotten really
2 comfortable with knowing lots and lots and lots about a
3 relatively few moving pieces of equipment.

4 And we're heading into a world where there's
5 going to be lots and lots and lots of pieces of equipment
6 that we just -- we cannot possibly know the same level of
7 information about. And what that translates to me is -- is
8 when we talk about data, we talk about coordination, we talk
9 about these protocols and procedures that we need to put
10 into place to get better at.

11 We need to accept that the world is changing, the
12 piece parts that make up the power system and how it
13 operates, and how it provides value are changing. And our
14 operating strategies are going to have to change along with
15 it. We can't stay at the exact same reliability standard --
16 I'm talking more at kind of distribution level now.

17 I'm not suggesting that NERC reliability
18 standards need to go through a wholesale review, God help us
19 if that ever happens. But we don't want to do that right
20 now. What we want to do is talk about the idea that what
21 constitutes the information you need to know in order to
22 maintain a defined level of reliability it's going to
23 change.

24 When you go from hundreds of generating resources
25 to tens of thousands of generating resources, when you go

1 from primarily transmission to distribution, what you can
2 know, how variable it is, how it behaves is going to change.
3 You know, operating strategies around that so that we can
4 achieve whatever defines level of reliability. It's going
5 to have to change with it. We can't just say we're going to
6 keep our metrics the same and our standards the same and
7 we're just going to outrun this problem with more and more
8 and more data and more and more and more sophisticated
9 analytics, that's not going to solve.

10 So it's a balancing equation. Again it gets back
11 to we've got to know our operating strategies before we can
12 really understand what level of data and communication it
13 takes and the coordination it takes to support those
14 strategies, an area of change.

15 MR. KATHAN: Thank you, Martin?

16 MR. RYAN: Martin Ryan, NRG Energy. The way we
17 look at this question is that if the system is set up
18 properly instead of having to override it and basically not
19 perform a function that you were asked to perform, that
20 you're going to be held accountable for through settlement
21 is that it should suppress the deployment for the market
22 award prior to you getting it.

23 If it's set up properly and you're approaching a
24 limit, basically we'll curtail you similarly to the way you
25 do transmission constraints on a transmission grid.

1 Obviously you can't burn the system down so if something
2 happens, it doesn't work properly or something changes
3 within the curiosity of when the market's running and you
4 have an overload and there has to be some sort of an
5 avoidable dispatch, we're going to comply with that
6 avoidable dispatch, obviously you can't cause problems on
7 the system.

8 But if it's set up properly you don't have to
9 worry about the penalties, you just get an award that
10 basically the system can support and you generate to that
11 award and you're not causing a problem.

12 And we think that we should do that through the
13 absolute minimal amount of rules and protocols that you have
14 to put in place to maintain liability.

15 MR. KATHAN: Joe, did you have a comment?

16 MR. CIABATTONI: Sure, real quick. So yeah, I
17 agree that they should be able to curtail resources issue.
18 I agree with the coordination just as we coordinate with our
19 transmission operators, there should be some coordination
20 also with the EDC.

21 I think the thing to keep in scope here is that
22 we want to make sure that there is not -- if it's fair and
23 equitable, and we're reducing the right units, we're not
24 doing it for the wrong reasons. I agree with Doug in the
25 fact that if you set up your markets properly we should

1 account for that.

2 Ideally we'd have some sort of LNP but I think
3 we're very far from that. And then there's market rules
4 that really should dictate when a unit is either made whole
5 or maybe has to accept the responsibility of their
6 commitment and whether they were able to perform to that or
7 not.

8 So there may be things that are initiated. For
9 instance, if we had manual control of units and there's no
10 LNP to match that, then there's make hold provisions whereas
11 if a -- say a unit is isolated because a line trips, they
12 still have a day ahead obligation so I think market rules
13 have to dictate whether they're compensated or not or
14 penalized or not.

15 MR. KRISTOV: May I add a footnote to this
16 conversation, thank you. I'm just as food for thought it's
17 possible, it's conceivable that for a high-functioning DSO
18 if an outage occurs where a particular resource has been
19 given a dispatch by the ISO and it can't comply because of
20 conditions on distribution that this high-functioning DSO
21 could find other resources to dispatch as a substitute and
22 still deliver what the ISO expected the TD interface.

23 That's a potential function to consider for the
24 future.

25 MR. PALMER: Okay, here's another question. How

1 might recent and expected technical advancements be used to
2 enhance the coordination of DER aggregations? For example,
3 integrating energy management systems -- EMS and
4 distribution management systems -- DMS for efficient
5 operational coordination?

6 MR. IPAKCHI: I think I want to make a comment
7 that Gerald made at the beginning. The traditional EMS's
8 and DMS's primarily looked at reliability of their wires.
9 Dealing with DER's there are lots more detail in both
10 commercial issues and others.

11 If EMS's and DMS's are expanded to include DER
12 modeling and DER operations and things of that nature, yes,
13 that would be helpful. However, they serve certain
14 purposes. The staff that used them are trained to do
15 certain activities. Going across the industry and having
16 EMS and DMS's kind of come together, it is a major
17 undertaking.

18 However, DERMS's come to play to basically focus
19 on DER operations, DER modeling, model the distribution grid
20 down to the secondary, down to the connection to the DER's,
21 model the storage assets, model the scheduling
22 functionalities needed, model the smart inverter
23 capabilities that assets can provide reactive power and
24 reactive power et cetera.

25 You know there is a -- there is a technologically

1 architecturally from a technology architecture, the EMS's
2 and DMS's kind of have been around for a number of years.
3 Architecturally modifying them to address these things is
4 not a small undertaking, so probably better answer is to
5 augment the existing DMS and EMS's with the DERMS and
6 integrate DERMS with those technologies.

7 MS. MIDDAUGH: Thank you. I think the answer to
8 the question is in numerous ways as Ali pointed out, there
9 are numerous trajectories along which you could see these
10 enhancing the efficient operational coordination.

11 Some of the most important, from my perspective,
12 are the learning and predictive capabilities of the analysis
13 of the data coming out of these systems, and I think
14 combining that -- merging that into the planning and
15 operational process and having it inform meaningful
16 decision-making and not just be a proliferation of data for
17 data sake but having it really inform both planning and
18 operations is the key to success on all of those
19 trajectories really.

20 I think that capturing this data and using the
21 tools that are available now for that learning and
22 predictive value, that's where the insights will come from.
23 But I also want to point out that the technology in its
24 applications -- those aren't enough on their own.

25 I think it's very important to circle back to the

1 fact that the market signal has to drive the appropriate
2 level of investment in these to enable that to be a success,
3 thank you.

4 MR. GLASSER: Thank you. So as far as the
5 advancements and the technology that's available -- so today
6 the distribution system -- we don't have a lot of that
7 visibility down or that control. And we know that as we're
8 moving along with our pilots, as we're moving along with
9 improving communication that down in our future there'll be
10 new technology, investments, training and a certain increase
11 in the level of complexity of the details and the controls
12 and the distribution system completely changing the way we
13 operate the distribution system.

14 What we need to make sure we remember is that the
15 way that that's paid for is through rate cases -- that's
16 paid for by rate payers. So while really complex and
17 detailed information systems and control systems are great
18 but it has to be paid for by someone and that's rate payers
19 so we really want to make sure that when we get there that
20 it's the right level that we're getting the right level of
21 control and visibility and technology, that we're not
22 spending money on, you know, a gold plated system that
23 customers are paying for, thank you.

24 MR. RYAN: Martin Ryan, NRG Energy. I think you
25 have to be careful when you have multiple systems performing

1 pricing on the system and dispatching on the system because
2 what you do on the distribution system is going to affect
3 the transmission system and then it's going to turn around
4 and the transmission system is going to have to try and
5 counteract what's going on there.

6 So having multiple systems I think -- I'm not so
7 sure which one's more complicated whether you take the
8 conventional system that we already have and model all the
9 way down to the distribution system or if you try to figure
10 out a way to make the two coordinate with each other.

11 But the important part is you have to properly
12 set the price at all of these points all the way down to the
13 distributed asset. And if you can do that then you get the
14 proper dispatch and everything works the way it should.

15 MR. LUONG: I just had a follow-up question, you
16 know regarding the distribution system that, you know,
17 happening early that you cannot see the DER load and 12 KV
18 you know, connected below that. So you know on the NERC
19 Commission side they have a guideline to model it and now in
20 the distribution side do you have any -- see any guideline,
21 anything like that, for you to model it so you can see more.

22 Because you know, for the DMS you cannot even see
23 it. So, you know, the EMS cannot see when the DMS doesn't
24 have it. So on the distribution side do you have any
25 guideline or any standard, anything like that to help people

1 to model on the distribution side to model it, you know so
2 you can see those things?

3 MR. GLASSER: So I'll answer to the extent I can.
4 As far as modeling it's modeled, it's tested out to see to
5 make sure that on the interconnection that the system can
6 handle the generation as far as on any other kind of a
7 model, like real time load flow models or things like that,
8 not that I'm aware of on the distribution side.

9 MR. IPAKCHI: One of the important things in one
10 of the very basics in dealing with edge devices -- DER's
11 that are connected at the end of distribution lines is to
12 have a proper topological modeling, connectivity modeling
13 knowing where they are connected.

14 And depending on the utility, if there are
15 advanced metering available so there is a, you know,
16 granular load data at every single point at end of the line
17 is available. Then calculating the flows on the lines is
18 just a matter of basically you have a lot of data, but see
19 you have data driven combined with topology to look at the
20 flows on the lines.

21 Now you combine that with the DER operations and
22 their schedules and their generation forecast and their
23 conditions with respect to active power then you have a
24 capability for looking at loadings on the lines.

25 With respective to reactive power, voltage

1 levels, again, as we are moving forward sensing and
2 communication, not the old model of putting RTUs, but
3 sensing and communication has become fairly inexpensive.

4 So being able to have sensors on the lines
5 certainly smart inverters, DER's that impact, they provide a
6 lot of the information. Information available from those
7 resources at the end of the line and if there's a concern
8 but voltage levels are conditions further up the stream,
9 upstream on the distribution side, some inexpensive sensors
10 can also provide the information.

11 So the point is looking at the conditions with
12 the conventional way of the grid power system done,
13 especially with the transmission mind-setting mind -- as you
14 are moving forward one has to start thinking about the newer
15 technologies can be cost effectively, securely and in real
16 time provide the information needed.

17 Now the industry may take a while for industry to
18 really adopt those technologies but certainly capabilities
19 are available. So short of detail, you know, mathematical
20 modeling of every circuit, having topological connectivity,
21 having data driven analysis it provides, you know, 90% --
22 solves 97% of the problem.

23 MR. GRAY: I thought it was interesting that both
24 of these panelists talked about the need for models and one
25 of the things that EPRI has a research program on working

1 with different utilities on some of their modeling
2 challenges, especially at the distribution grid.

3 Transmission models are pretty accurate -- why?
4 They don't change that often right? The distribution models
5 are always being changed and then as we see with the various
6 big storms that come through then there's changes that get
7 made to get the lights back on and then sometimes the models
8 aren't updated.

9 One of the interesting things we see as utilities
10 deploy smart meters and once they go beyond simple metering
11 use cases and start using that data for other types of
12 analytics, what do they find out -- often that the meters
13 are located on different phases right?

14 The distribution utilities often have inaccurate
15 modeling data. Data -- the modeling data exists and many
16 distribution utilities have lots of different places and it
17 doesn't necessarily agree with each other.

18 Now you throw in a DER going into different
19 distribution locations and you try to run a power flow on a
20 thing and it might work on your computer but it might not
21 work in the field because stuff's connected on the wrong
22 phase right? So having -- an earlier panelist talked about
23 garbage in, garbage out. As an IT guy, I mean that
24 situation has been around as long as computers right?

25 And that hasn't changed. So I think it is

1 incumbent if you want to do all these things you really it's
2 going to rest on having accurate models.

3 MR. LUONG: And just for a quick, you know, from
4 every -- on the transmission side you have seam, you have
5 you know, the common model information from the model, do
6 you have anything like that for a DER for the distribution
7 side?

8 MR. GRAY: Yeah, so the common and the common
9 information model actually refers to the UMO model that's
10 used for three different IEC standards. So there's 61970
11 which is for transmission -- that's the oldest one.

12 Then there was 61968 for distribution and 62325
13 is for energy markets. The common in that is you have these
14 three families of IEC standards but the data model they use
15 is -- what's the common in that common information model.

16 So DER is represented there, demand response is
17 represented there, distribution assets are represented there
18 as well.

19 MR. KATHAN: So I think our last question will be
20 -- we asked this in the previous panel and I'll ask it here
21 also. Is it possible for DER's or DER aggregations
22 participating in the RTO/ISO markets in a wholesale level,
23 to also be able to improve distribution system operations in
24 reliability?

25 If so, please provide any examples of how this

1 could be accomplished and Doug you had yours up first.

2 MR. PARKER: Thank you. I think yes, it's
3 possible. It really goes to the objective function that was
4 in play when the aggregation is set up. What's its main
5 purpose? And if it's optimizing around capturing wholesale
6 market revenues then that implies a certain collective set
7 of customers that maybe collective set of locations based on
8 what nodes are connecting to, you know, what ISO interface
9 nodes.

10 And so it's just -- I think it's an empirical
11 question how aligned would that business objective
12 establishing that aggregation be with distributions circuit
13 needs? And you've heard all sort of discussion about the
14 variability of circuit needs and non-simultaneous,
15 non-coincident needs.

16 And so I think it's -- it's something that has an
17 appeal to it -- can you kill two birds with one stone --
18 maybe, maybe it's only one and half birds, maybe it's just
19 one and a quarter birds, it really would be more of an
20 empirical question than anything else so perhaps that is the
21 question to tee up in that original aggregation evaluation
22 process.

23 And say to what extent -- we have some -- we're
24 not completely blind on the distribution system. We know
25 lots of things and we know where our good circuits are,

1 where our bad circuits are, we know where our weather tends
2 to have more often impacts. We don't know yet where the
3 car's going to hit the pole but that happens.

4 We do know a lot about the non-coincidence of
5 needs on circuits. A big factor by the way in kind of a
6 disconnect between wholesale market operations and
7 distribution. You know, if you've got an ISO that's peaking
8 or having peaked prices at 4 or 5 in the afternoon and
9 you've got circuits that are peaking at 8 o'clock at night,
10 you know, those aren't coincident needs.

11 So I think it's an empirical question more than
12 anything else. I think it's not something that you can set
13 out a rule that says, you know, here's how we're going to
14 reconcile those two objectives because I think there's the
15 practicality of where those customers are, what the
16 objective of that resource was originally going in to build
17 it and where it happens to be located on the distribution
18 circuits matters.

19 MR. KATHAN: Thank you, Martin will be next and
20 we're getting by on time so if people could be succinct in
21 your responses it would be fantastic.

22 MR. RYAN: Yeah I think absolutely it could help
23 and you put an aggregation together and try and get a larger
24 set of assets together to participate in the market. You
25 send the data up --there's no reason why you can't send the

1 data up on an individual asset basis and the distributive
2 operator sees that there's an asset on that line that needs
3 help.

4 You could start the asset on a single basis and
5 basically, you know, one of many on the aggregation that
6 shouldn't be hard. We can control all of our assets
7 individually and I think that should be something that would
8 be very easy to do and you know, just compensate in them
9 some sort of a cost plus basis so there's a margin there but
10 you don't have offers in for the individual asset.

11 You have offers in for the aggregation but there
12 should be no reason why you can't for reliability purposes
13 start an individual asset as long as it's compensated.

14 MR. KATHAN: I'm going to move down this way,
15 Brandon you're next.

16 MS. MIDDAUGH: Yes, thanks. I think the answer
17 is yes and the thing I would point out is that you can
18 either segregate in time non-coincident needs as Doug was
19 saying or you can segregate in terms of the committed
20 capacity.

21 And two quick examples that come to mind for this
22 -- in one of our data center locations we are currently
23 providing essentially distribution level support through
24 back-up generating capacity, gas generating capacity. At
25 the same time we're able to evaluate whether those same

1 assets could non-coincidentally be put to work on the
2 wholesale market as spinning reserve and so I think that's
3 an example of time.

4 An example of segregating by committed capacity
5 would be especially for energy storage, if you have a large
6 battery system and are committing as we are in a partnership
7 with PJM's advanced technology pilot program and with ETON,
8 if you commit a portion of that battery to say the
9 regulations or market following PJM's frequency regulations
10 signal and reserve the remainder for distribution level
11 needs that would be another example of a way to segregate by
12 committed capacity, thanks.

13 MR. KATHAN: Lorenzo?

14 MR. KRISTOV: Yeah, I would -- I agree it is
15 possible. I would just say that it points to this whole
16 question of multi-use applications and some of the issues
17 that have been mentioned about how to address them.

18 I know that there's workshops going on in
19 California now sponsored by the PUC and they're taking up
20 issues of measurement, dispatched priority, wholesale/retail
21 issues when a resource is actually consuming energy from the
22 grid to charge is it going to use that to offset retail load
23 or is it going to use that for wholesale purpose?

24 These are measurement issues somewhat challenging
25 to solve but not impossible. One thing I'd note is that

1 between distribution services and wholesale services,
2 there's conflicting needs usually regarding granularity of
3 an aggregation that a distribution need is liable to be very
4 local and if you have a large area aggregation while a
5 distribution company is not going to dispatch whole large
6 area aggregation to meet the needs of one circuit.

7 So some rules that allow you to say take apart
8 that aggregated resource and use parts of it for a
9 particular local function while the resource as a whole is
10 serving the greater needs.

11 Some work that we did in the locational net
12 benefits groups last year in California suggest that the
13 biggest dollar value on distribution for DER may be
14 offsetting distribution assets where they're substituting
15 for a distribution upgrade.

16 So I think that may be a fruitful line of inquiry
17 to see how can you configure devices that are offsetting a
18 distribution need and then can they earn additional revenues
19 in the wholesale market?

20 California ISO right now has an initiative
21 looking at transmission assets on transmission for the same
22 thing. Can they offset a transmission need and also be able
23 to earn market revenues? So I think that's an area worth
24 exploring.

25 MR. KATHAN: Ali?

1 MR. IPAKCHI: A simple answer yes. Example -- a
2 resource providing reactive power which is voltage support
3 which is highly valuable for distribution reliability while
4 providing energy services to the wholesale. Those things
5 can more or less be offered in a concurrent basis.

6 Reliability needs, distribution needs, types of
7 products may be different than what the ISO/RTO energy
8 products or capacity products are.

9 MR. KATHAN: Thank you and Gerald you have the
10 last comment on this panel and last comment on the whole
11 conference.

12 MR. GRAY: No pressure. I brought the bow tie
13 power, no way. I did want to echo what a couple of these
14 folks said so we would agree yes. And we talk about
15 specifically IEEE 1547 and so this is complementary, it's
16 not mutually exclusive as Ali said.

17 You could have a service for real power and
18 reactive power running at the same time, they can run
19 concurrently, simultaneously. We have talked about the
20 challenge with DER, DER aggregations -- all throughout
21 today's panels.

22 Lorenzo mentioned, you know, perhaps breaking
23 apart the aggregations to a lower level and I don't know
24 necessarily about that but what we would say is again what I
25 would echo in the response to your earlier question that the

1 decision-making needs to be pushed as close to where the
2 issue is and so in his example if there's something that's
3 happening on a particular circuit, whatever is controlling
4 that local circuit needs to have the ability to make that
5 effective change without having to deal with the latency of
6 going all the way back to central control.

7 Now I'll cut my comments short there.

8 MR. KATHAN: Well thank you. I think this has
9 been a very good panel, lots of good information and I am
10 speaking for the staff in saying this has been a great two
11 days and we've collected lots of great information, lots of
12 good comments were made.

13 So we will be issuing in the near future a notice
14 concerning post-Technical Conference comments so stay tuned
15 for that and we'll have information, the procedures for
16 timetables for those comments.

17 So with that I will adjourn the Conference and
18 thank everyone for their participation.

19 (Whereupon at 4:53 p.m., the conference was
20 adjourned.)

21

22

23

24

25

1 CERTIFICATE OF OFFICIAL REPORTER

2

3 This is to certify that the attached proceeding
4 before the FEDERAL ENERGY REGULATORY COMMISSION in the
5 Matter of:

6 Name of Proceeding: Distributed Energy
7 Resources

8

9

10

11

12

13

14 Docket No.:

15 Place: Washington, D.C.

16 Date: Wednesday, April 11, 2018

17 were held as herein appears, and that this is the original
18 transcript thereof for the file of the Federal Energy
19 Regulatory Commission, and is a full correct transcription
20 of the proceedings.

21

22

23 Larry Flowers

24 Official Reporter

25